

1 Proceedings

2

3 NEW YORK CITY TEACHERS' RETIREMENT SYSTEM

4 INVESTMENT MEETING

5

6

7 Held on Thursday, November 2, 2017, at 55 Water

8 Street, New York, New York

9

10 ATTENDEES:

11 JOHN ADLER, Chairman, Trustee

12 THOMAS BROWN, Trustee

13 ANTONIO RODRIGUEZ, Mayor's Office

14 SUSANNAH VICKERS, Trustee, Comptroller's Office

15 DAVID KAZANSKY, Trustee

16 RAYMOND ORLANDO, Trustee

17 MELVYN AARONSON, Teachers' Retirement System

18 JOHN DORSA, Comptroller's Office

19

20

21 REPORTED BY:  
22 YAFFA KAPLAN  
23 JOB NO. 0611028

24

25

## 1 Proceedings

## 2 ATTENDEES (Continued):

3 SUSAN STANG, Teachers' Retirement System

4 RON SWINGLE, Teachers' Retirement System

5 MICHAEL FULVIO, Rocaton

6 ROBIN PELLISH, Rocaton

7 THAD McTIGUE, Teachers' Retirement System

8 VALERIE BUDZIK, Teachers' Retirement System

9 LIZ SANCHEZ, Teachers' Retirement System

10 SHERRY CHAN, Office of the Actuary

11 DAVID LEVINE, Groom Law Group

12 SANFORD RICH

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Proceedings

2 MR. ADLER: Good morning, everyone.

3 Welcome to the Teachers' Retirement System of  
4 the City of New York Investment Meeting for  
5 November 2, 2017.

6 Thad, would you please call the roll?

7 MR. McTIGUE: Mr. Adler?

8 MR. ADLER: I am here.

9 MR. McTIGUE: Thomas Brown?

10 MR. BROWN: Here.

11 MR. McTIGUE: David Kazansky?

12 MR. KAZANSKY: Present.

13 MR. McTIGUE: Debra Penny?

14 Raymond Orlando?

15 MR. ORLANDO: Here.

16 MR. McTIGUE: Susannah Vickers?

17 MS. VICKERS: Here.

18 MR. McTIGUE: We have a quorum.

19 MR. ADLER: Thank you very much. Okay,  
20 with that I hand it over to Rocaton to take us  
21 through the Passport Funds.

22 MR. FULVIO: Great.

23 Good morning, everyone. We will begin  
24 with the performance of the Passport Funds in  
25 September, 2017.

1 Proceedings

2 As you might recall from the meeting  
3 last month, September was a strong month for  
4 public equity markets, particularly in the  
5 U.S. and other developed markets throughout  
6 the world. The U.S. equity market was up  
7 about 2.4 percent. In developed non-U.S.  
8 market that number was 2.5 percent. So both  
9 equally strong. And then within emerging  
10 markets, we saw a softer market that was down  
11 about 1.2 percent when you look at the custom  
12 proxy that we use for the Teachers' emerging  
13 market portfolio. So all told when you put  
14 together the exposures across those markets  
15 that make up the Diversified Equity Fund, the  
16 return for that fund during the month of  
17 September was about 2-1/4 percent. That  
18 served to be roughly in line with the hybrid  
19 benchmark and through the allocation to  
20 non-U.S, which I mentioned before did slightly  
21 better than the U.S. That served to help the  
22 fund, I'm sorry. All told the fund as a whole  
23 was up about 2-1/4 percent.

24 What drove the returns for the month, in  
25 particular, was a little bit of a stronger

1 Proceedings

2 return from the U.S. equity markets and a  
3 little bit of extra value added from the  
4 actively-managed strategies in the U.S. The  
5 developed composite was up about 1 percent, so  
6 not exactly keeping the pace with the broad  
7 U.S. equity market, but a positive return  
8 nonetheless. And the international component  
9 of the fund was up about 2.1 percent. On a  
10 calendar year-to-date basis, that brought the  
11 fund's overall return to about 14.8 percent.  
12 That's about 90 basis points ahead year to  
13 date versus the U.S. equity market and that  
14 was due to the non-U.S. exposure within the  
15 fund as a whole, which I mentioned before up  
16 about 21-1/2 half percent calendar year to  
17 date. So these are big numbers. Relative  
18 results from the actively-managed equity  
19 strategies in both the U.S. and non-U.S.  
20 contributed to relative results this year.  
21 And though the relative results in the  
22 defensive composite could have been a little  
23 bit weaker on a relative basis, the composite,  
24 the defensive composite was still up about 10  
25 percent calendar year to date. So still

1                               Proceedings

2               pretty notable return when compared to the  
3               Russell 3000, which was up about 14 percent.

4               The Bond Fund for the month of September  
5               was down about a quarter of a percent. Year  
6               to date that fund got a return of about 1-1/2  
7               percent. The International Equity Fund up  
8               about 2 percent for the quarter, again year to  
9               date very strong positive return of about 21.1  
10              percent. The Inflation Protection Fund was  
11              down about a quarter of a percent like that of  
12              the Bond Fund. Obviously the underlying  
13              strategies are pretty different. Year to date  
14              that strategy, though, is up about 1.9  
15              percent. And that is good enough to outpace  
16              the CPI and its custom benchmark. The  
17              Socially Responsible Equity Fund was up about  
18              2-1/4 percent for the month of September,  
19              bringing its year-to-date return to about  
20              12.26 percent. And that's lagging the S&P by  
21              about 2 percent so far year to date.

22              If there is no questions --

23              MR. ADLER: Just one minor typo, I  
24              guess, on the percentage of funds in target  
25              percentages for the international equity

1 Proceedings

2 composite under Diversified Equity Fund.

3 MR. FULVIO: That's definitely not  
4 correct. It's a typo, so that should  
5 be --

6 MS. PELLISH: We will send out an  
7 update.

8 MR. ADLER: Probably just a decimal  
9 point correction, I would imagine.

10 MR. AARONSON: I think they do it like I  
11 used to do for my classes, put it in to see if  
12 anybody is paying attention.

13 MR. FULVIO: So for the record, though,  
14 there is a 20 percent target to the  
15 international equity composite. And the  
16 rebalancing process in the Diversified Equity  
17 Fund has served to keep the underlying  
18 components in the Diversified Equity Fund  
19 pretty close to their respective targets. We  
20 will send out a revised.

21 MS. PELLISH: The same is true for the  
22 Bond Fund.

23 MS. STANG: Yes, that's crazy.

24 MR. FULVIO: So with that, maybe we will  
25 turn to October.

1 Proceedings

2 And October was another strong month for  
3 global equity markets. The U.S. was up about  
4 2 percent yet again bringing the calendar  
5 year-to-date return there to about 16.4  
6 percent. The international market all rolled  
7 under, including the developed and  
8 non-developed non-U.S. and emerging markets  
9 were up about 1-3/4 percent, calendar year to  
10 date up over 23 percent. The defensive  
11 composites also up just shy of 2 percent in  
12 the month of October bringing its calendar  
13 year return to about 14 percent. The  
14 Diversified Equity Fund's hybrid benchmark as  
15 a whole is up about 2 percent and the  
16 estimated year-to-date return to about 17.5  
17 percent for that proxy, so very strong numbers  
18 across the board. There is additional detail  
19 breaking out the developed and non-developed  
20 non-U.S. and emerging equity markets in the  
21 middle of the page. The developed non-U.S.  
22 piece was up about 1-1/2 percent and the  
23 emerging market piece was up about 3.6  
24 percent. So emerging outpacing the U.S. and  
25 developed market as a whole. And then below

1 Proceedings

2 that, the underlying strategy for the  
3 Inflation Protection Fund up about 3/4s of a  
4 percent. And the underlying strategy for the  
5 Socially Responsive Equity Fund up about 1  
6 percent, lagging the S&P during October.

7 Were there any questions? So that  
8 concludes the performance portion of today's  
9 agenda. Happy to introduce the next item  
10 if --

11 MR. ADLER: Please.

12 MR. FULVIO: So today, as you might have  
13 noted on the agenda, we have invited in two  
14 providers of what we will call solutions for  
15 institutional investors looking to  
16 constructively approach ways of lowering the  
17 carbon footprint in their investment program  
18 by implementing -- which are essentially  
19 indexed strategies.

20 So one of the providers, the first one  
21 Mellon Capital, manages a strategy that seeks  
22 to lower the carbon footprint of the portfolio  
23 as a whole while minimizing the tracking error  
24 relative to an index of the investors  
25 choosing. And MSCI, they don't manage

1 Proceedings

2 portfolios but rather they construct an index  
3 that you can then license and have one of your  
4 managers such as BlackRock or State Street,  
5 other index providers actually implement that  
6 index on your behalf. And so they go about  
7 this in a bit of a different way depending on  
8 which provider you are looking at, but today's  
9 presentation is going to be more of an  
10 educational discussion for how they approach  
11 this, you know, task that many of their  
12 clients ask them to look at for them. And  
13 then maybe after that concludes, we can help  
14 distinguish a little bit the characteristics  
15 that make them different.

16 MS. PELLISH: Just to provide sort of a  
17 context the reason -- or just to remind  
18 everyone: The reason the board requested that  
19 we bring in some providers was because as a  
20 result of the Mercer presentations, there was  
21 a conclusion that one of the potential next  
22 steps was to take a portion of the U.S. Equity  
23 Index assets and allocate them to a low carbon  
24 strategy. So there are increasing number of  
25 service providers who are willing to do that

1 Proceedings

2 for you. And Susan and her team and we at  
3 Rocaton have been meeting with a broad range  
4 of those providers. And we thought that these  
5 two firms had compelling, but different  
6 strategies to facilitate passively investing  
7 in low carbon portfolios. And so we thought  
8 that it would be interesting to bring them in  
9 front of the board so that can you begin to  
10 get a sense of how or -- how strategies  
11 differ, how it is possible to implement a low  
12 carbon index portfolio, what might be the  
13 benefits and costs of doing so.

14 MR. ADLER: Can I just ask a question?  
15 Sorry, Valerie.

16 MS. BUDZIK: Maybe just add in from what  
17 Robin is saying, we view this as an  
18 educational presentation. If the board  
19 determines it wants to proceed with low carbon  
20 providers or another product in the area, it  
21 would be a solicitation of sorts.

22 MS. PELLISH: A more thorough --

23 MR. FULVIO: Formal process.

24 MS. BUDZIK: Right, this is --

25 MS. PELLISH: Just to give examples I

1 Proceedings

2 think.

3 MS. VICKERS: This is informational.

4 MS. BUDZIK: This is informational,  
5 educational.

6 MR. TAMONEY: Well, my name is Drew  
7 Tamoney. I am glad to be here for Mellon  
8 Capital. Thank you for making time for us  
9 today.

10 As you may know, we serve as a manager  
11 currently and have so for 20 years. Pleased  
12 to do that and we do that on indexed funds  
13 that we manage for the plan. Today we are not  
14 here to talk about that account. We are here  
15 to talk about indexing in an educational way  
16 and in sort of an educational endeavor. With  
17 me I have Karen Wong, who is in charge of the  
18 indexing team. Our firm is known inhouse  
19 among the BNY Mellon family as the indexing  
20 firm. We manage in excess of \$300 billion at  
21 the firm and certainly a lion's share of that  
22 320 billion is under Karen's supervision and  
23 her team, indexing particularly some \$270  
24 billion. So we are known -- we are going that  
25 way internally as a place to serve as a

1 Proceedings

2 manager for you.

3 We are known as an indexing firm because  
4 we started indexing in the industry. 1973 was  
5 the first S&P index fund that we started.

6 Actually, founders of our firm started it so  
7 we are pleased to be here. Karen has been at  
8 the firm for 17 years. She'll lead the

9 discussion today about indexing and  
10 particularly how we are thinking about the  
11 environment. She is on the senior management  
12 committee, the risk and compliance committee,  
13 a very senior member of the firm, and not a  
14 surprise today as we are here to talk about  
15 things that affect the environment she is the  
16 head of the ESG committee at the firm.

17 Today as I think about it, we are here  
18 to talk about indexing with a cause, the  
19 environment, how can we make a difference for  
20 the environment with our pension dollars.

21 Karen will talk about it, but some five years  
22 ago a client of ours, the McKnight Foundation,  
23 asked us to look at what happens with the  
24 environmental investing and could we make a  
25 difference in their portfolio. And that was

1 Proceedings

2 the catalyst for us to get into this business  
3 some five years ago and Karen will tell that  
4 story. I can tell you that now we do have a  
5 trademark on green data. Pleased to do that.

6 So I will turn to Karen who will lead  
7 the discussion on how we think about the  
8 environment and how to invest in a proper way  
9 and then we will bleed into just a little bit  
10 of what we do at Mellon Capital, one way that  
11 we think makes sense. Not the only way that  
12 we think makes sense for you to understand.  
13 Make sense.

14 MR. ADLER: Sounds good.

15 MR. TAMONEY: Karen.

16 MS. WONG: Terrific, and thank you.

17 Before we get started, I want to do a  
18 quick time check. Do we have 20 minutes  
19 roughly?

20 MS. STANG: Yes.

21 MS. WONG: Thank you.

22 So why don't we go to the next page.  
23 Just very quickly, this is our agenda for  
24 today and these are the key questions that we  
25 want to talk about and ask ourselves. And a

1 Proceedings

2 lot of what you see here is things we have  
3 gone through in developing a strategy for our  
4 client McKnight Foundation that Drew mentioned  
5 earlier.

6 Now, going to the next page I think most  
7 of you are familiar with this topic of low  
8 carbon investing or the common elements that  
9 go along with it; the fossil fuels, the carbon  
10 emissions, the engagement, the divestment. I  
11 think it's important to recognize if you go to  
12 the next slide, this campaign of fossil fuel  
13 divestment started in a lot of university  
14 campuses a few years ago and there are many  
15 elements to it. And I think you are already  
16 ahead of the curve by divesting from pure  
17 plain coal and that's what we are managing for  
18 you right now, so I congratulate you for  
19 staying ahead of the curve there.

20 Now, what goes along with divestment on  
21 page 5, it's important to recognize the  
22 investment risk of divestment. Now, what we  
23 are talking about here is a broader fossil  
24 fuel divestment, not just coal. And we did a  
25 hypothetical analysis of getting out of coal

1 Proceedings

2 fossil fuels and how that will impact the  
3 investment risk. And what you see here is the  
4 result of that divestment of the energy sector  
5 as a proxy of fossil fuels. Now, on an ex  
6 ante basis the risk of that fossil fuel-free  
7 portfolio, it's 124 basis points per annum  
8 since '97.

9 MS. PELLISH: Can you define "risk" when  
10 you are talking?

11 MS. WONG: Yes, thank you.

12 Risk in terms of tracking errors, so  
13 that's the volatility of return. That's one  
14 way of thinking about it. On an ex post basis  
15 it's a little higher, 139 basis points per  
16 annum. So that's the risk that we face if we  
17 were to get out of the fossil fuels.

18 MR. ADLER: I'm sorry. Can you  
19 distinguish between ex ante and ex post?

20 MS. WONG: Of course. Ex ante is the  
21 forward looking, so what would the portfolio  
22 expect to generate in terms of risk. Ex post  
23 is kind of backwards looking too. So over the  
24 time period of this analysis from 1997 up to  
25 2016, so 20 years. Over the last 20 years

1 Proceedings

2 getting out of fossil fuels would introduce  
3 139 basis points of ex post tracking error.

4 MS. PELLISH: Can you just expand on  
5 that a little bit, about how an investor might  
6 think about that on an annual basis? So you  
7 are talking about a multiyear basis and also  
8 what does that mean about the probable range  
9 of outcomes? So that's one standard  
10 deviation?

11 MS. WONG: Right, exactly. So in the  
12 very technical term, 139 basis points is  
13 really a one-standard deviation. Now, what is  
14 one-standard deviation. That is in math -- in  
15 a statistical term, two-thirds of time you  
16 would be above or below the 139 basis points.  
17 Now if you want a bigger probability, you are  
18 talking about two-standard deviations. So 95  
19 percent of the time, roughly speaking, you  
20 could be 280 basis points above or 120 points  
21 below the benchmark at any given point.

22 Now perhaps a way of understanding it is  
23 looking at the year over-year deviation, so  
24 you see it on this top here with the energy  
25 run up from 2004 to 2007. What you are

1 Proceedings

2 looking at is underperformance of this  
3 portfolio to almost 200 -- I would make a  
4 guess -- 280 basis points. That was in 2007.  
5 Underperformance of this portfolio relative to  
6 the benchmark. That is an outcome of getting  
7 out of the energy sector. Now in more recent  
8 years obviously that could generate positive  
9 return, but that is the volatility that we are  
10 talking about. You could be at any year up  
11 and down against the benchmark by a  
12 significant amount.

13 MS. VICKERS: So if you had to sort of  
14 summarize this entire slide in one or two, you  
15 know, layman terms sentences, how would you?

16 MS. WONG: I would say if you decide to  
17 completely divest from fossil fuel, you will  
18 face very high volatility in your return.

19 MS. PELLISH: Relative the benchmark?

20 MS. WONG: Relative to the benchmark.  
21 And you see the volatility on this slide here  
22 over the last 20 years. In one year you can  
23 be up 200 basis points, in another year you  
24 could be down over 200 basis points and that  
25 is the volatility.

1 Proceedings

2 Now putting it into context of your  
3 current portfolio, the expected return of that  
4 portfolio right now is about 45 basis points.

5 MS. STANG: Of the passively managed?

6 MS. WONG: Correct, of the portfolio  
7 that you currently manage.

8 MS. PELLISH: Relative to the benchmark?

9 MS. WONG: Relative to the benchmark.

10 So you can get a sense of how much more risk  
11 you were to face if you were to divest fully  
12 from fossil fuel.

13 MS. VICKERS: And are these the numbers  
14 of how much more risk you will face if you  
15 divest fully from fossil fuel?

16 MS. WONG: Right. Basically you will be  
17 looking at incremental risk of 120 basis  
18 points just from divesting from fossil fuel.  
19 Now, keep in mind that is just one risk that  
20 people talk about related to climate change  
21 risk. It's the stranded asset risk, right?  
22 You also have physical risk. You also have  
23 transition risk, you also have many other  
24 elements of risk that you should think about,  
25 because divesting from fossil fuel doesn't

1 Proceedings

2 really solve or mitigate all of your risks  
3 related to climate change.

4 MS. VICKERS: I'm sorry, one last  
5 question: How do you define energy  
6 divestment? You know, what's the universe of  
7 companies that are excluded in that slide?

8 MS. WONG: This slide, we use the energy  
9 sector as a proxy because --

10 MS. PELLISH: The energy sector defined  
11 by?

12 MS. WONG: Gates, which is a pretty  
13 widely accepted classification of industry in  
14 the sector.

15 MS. VICKERS: Do you know approximately  
16 how many companies that is?

17 MS. WONG: 200 plus.

18 MS. PELLISH: And it's about what  
19 percentage?

20 MS. WONG: The energy sector, I actually  
21 have it on a different slide here. I will get  
22 it for you. I will get it for you. That is  
23 5.6.

24 MR. TAMONEY: On page 16.

25 MS. WONG: 5.6 as of July 31st. Any

1 Proceedings

2 more questions on this slide before I move on?

3 LIANG: I had a question. So, you know,  
4 this was a great slide about what we might  
5 expect in terms of volatility. What about  
6 expected return; when you remove the sector  
7 from the -- from the portfolio, do you  
8 have -- is there a sense of  
9 expected -- difference in terms of expected  
10 returns, because you see ups and downs? So to  
11 me just from the ups and downs, does it  
12 average out that the expected return is about  
13 the same as the benchmark but now based on  
14 higher volatility?

15 MS. WONG: Well, because you face higher  
16 volatility and the return would be more  
17 dependent on the performance of the energy  
18 sector, right, so it's a little hard to put  
19 the expected number. But if we go back and  
20 look at what has happened in the last 20 years  
21 in this analysis, getting out of fossil fuel I  
22 think will generate negative return to the  
23 benchmark. So it was definitely a negative  
24 looking backward that was the past 20 years.

25 MS. VICKERS: I'm sorry, can you repeat

1 Proceedings

2 that?

3 MS. WONG: So I don't have the number  
4 with me right now, but if I remember correctly  
5 this return stream over the last 20 years was  
6 negative relative to the benchmark. I can  
7 certainly get you the number.

8 MS. VICKERS: That would be very  
9 interesting. Thank you.

10 LIANG: But in the future, so suppose we  
11 had this idea that energy companies are not  
12 going to do well because of climate change  
13 maybe policies and things like that, the  
14 future cash flow streaming might not be  
15 negative for the sector? It's unknown at this  
16 point?

17 MS. WONG: It's unknown, but also we are  
18 assuming that the energy companies would not  
19 change because there is also -- that's why I  
20 was talking about the transition risk, right?  
21 An energy company can try to transform and try  
22 to do more in R&D to get out more energy per  
23 unit of fossil fuels, so that's a possibility.  
24 So it's very hard at this point so say oh, I  
25 think I know what the return, expected return,

1 Proceedings

2 would be because there are so many unknowns.

3 MS. PELLISH: And it's fair to say you  
4 are taking the approach of a client comes to  
5 you and says I would like to try to mitigate  
6 the carbon footprint of my index strategy and  
7 this is one way you deal with that rather than  
8 predicting returns?

9 MS. WONG: Rather than predicting,  
10 Mellon Capital is a very quantitative and  
11 systematic firm and we always try to put  
12 everything into a model. And the reason why  
13 we spent so much time in creating this  
14 strategy was we are trying to make the perfect  
15 model out of it. And as we were doing it, we  
16 realized there are so many unknowns on the  
17 valuation side. There is also unknowns as  
18 related to the innovation so who knows that  
19 Tesla, an electric car, would become the  
20 largest automobile company in the U.S. by  
21 market cap. Ten years ago it didn't even  
22 exist.

23 So it's really hard to try to predict  
24 how innovation can change and transform the  
25 industry. So -- and that's why the approach

1 Proceedings

2 we take is if we can't put all the pieces  
3 together in a perfect model, let's try to  
4 think of it as a way to hedge the risks. What  
5 are the things that we can do without  
6 introducing a lot of incremental risk, what  
7 are the things that we can do to provide the  
8 broad market exposure that's unique. Because  
9 you still need to invest, right, you want to  
10 continue to invest in the Russell 3000 I  
11 presume. Then what are the things we can do  
12 to try to mitigate the unknowns, to hedge out  
13 unknowns in a meaningful and sensible manner.

14 MR. TAMONEY: We can certainly follow up  
15 what would it mean to divest of the energy. I  
16 would like to move the conversation along to  
17 thinking about other things, getting specific  
18 on carbon and maybe a way to manage that idea  
19 if that's okay.

20 MS. WONG: So the way we also start  
21 thinking more about it is aside from the  
22 stranded asset argument, aside from the fossil  
23 fuels, what are the things that we should  
24 consider.

25 Now on page 6, the next slide, you see a

1 Proceedings

2 chart of the energy breakdown and this was the  
3 latest available. And, as you can see, we are  
4 looking at the total energy consumption by  
5 different source from coal, oil, gas to  
6 renewable. And this green slice of the pie  
7 that's 6 percent, that's renewable and that's  
8 how much currently in the U.S. energy is  
9 produced from various sources of renewable  
10 sources. What we want is the green slice to  
11 be a bigger portion of the pie. Now, ten  
12 years ago this green slice was about 7  
13 percent; nothing actually moved in ten years.  
14 Globally, this number we looked at across the  
15 globe, it was also about 6, 7 percent. We are  
16 far from a low carbon economy. We cannot  
17 ignore all the fossil fuels. We can do  
18 something about certain elements like coal for  
19 example, but there are things we need to ask  
20 ourselves. We have such a huge reliance on  
21 fossil fuels. We don't really have a switch  
22 that we can just flip and go let's get out of  
23 all fossil fuels. We have to accept it's  
24 going to be a long and gradual transition and  
25 doing that, what are the things that we can do

1 Proceedings

2 and how do we measure the risks of climate  
3 change risk.

4 MR. ADLER: I have a question. This  
5 U.S. energy consumption gives a source, but  
6 does that mean including transportation, like  
7 would cars be included in that or not?

8 MS. WONG: This is really measuring all  
9 the electricity produced.

10 MR. ADLER: Electricity, so this is  
11 electricity?

12 MS. WONG: Yes.

13 MR. ADLER: Got it. Thank you.

14 MS. WONG: No problem.

15 So going to the next slide if we think  
16 of a risk measure, if we say that cash reserve  
17 or carbon or fossil fuel reserves are not the  
18 best measure of climate change risk, then what  
19 would be a better measure. So we decided on  
20 page 7 that we should take a closer look at  
21 carbon emissions. It's not the fossil fuel  
22 itself, it's the burning of the fossil fuels  
23 that's causing climate change risk. It's the  
24 carbon dioxide concentration or greenhouse gas  
25 concentration. So what you see here is an

1 Proceedings

2 indicator of carbon dioxide concentration  
3 level historically from pre-industry  
4 revolution to the most recent. And you see  
5 how that has increased over time and started  
6 to really go up almost exponentially. So the  
7 question that we ask ourselves is this is a  
8 really good risk indicator, because if we can  
9 help manage the carbon dioxide emissions or  
10 the carbon emissions then we would have a  
11 better chance of success in terms of balancing  
12 climate change risk itself.

13 MS. PELLISH: So I just want to make  
14 sure the point you are raising here is clear  
15 to everyone, because I think it's a critical  
16 and distinctive element of what you do which  
17 is not to focus on the stranded asset issue of  
18 large integrated oil companies. So you are  
19 making the argument that that may be an issue,  
20 but that's not the most immediate priority in  
21 terms of constructing a benchmark or  
22 portfolio?

23 MS. WONG: It's a very good point.  
24 Because what we are thinking is what's under  
25 the ground, it's what's under the ground.

1 Proceedings

2 What is really happening right now, climate  
3 change is about what's in the air right now.  
4 So how can we use a measure that would allow  
5 us to address the urgency or the immediacy of  
6 the issue and so we think that carbon  
7 emissions is a better indicator of climate  
8 change risk.

9 Now, the other question that I think we  
10 should ask ourselves is, next slide, do we  
11 focus on carbon measures or is there something  
12 else that we should consider as well in  
13 mitigating climate change risk. And sure  
14 enough we started to ask ourselves about other  
15 environmental issues; what about water stress;  
16 what about waste management, what about  
17 governance. If you think about the Volkswagen  
18 diesel scandal, that is more of a governance  
19 issue than an environmental issue. It's  
20 because the company really did not have  
21 independent board members, right? So you  
22 start to think more about there are other S&G  
23 elements within the nonfinancial  
24 considerations that we should consider that  
25 can also help address climate change risk.

1 Proceedings

2 The other example that I would give is  
3 think about the carbon footprint of a product,  
4 right? Do you want to invest equally into  
5 General Motors and Tesla or should you invest  
6 more into Tesla because its product has a  
7 lower carbon footprint. Now, if you just look  
8 at carbon emissions by itself you would not  
9 consider the Scope 3, if you will, if you get  
10 technical into the carbon measure, but really  
11 it's about the indirect carbon emissions from  
12 products. So we started thinking about what  
13 we should really look a little beyond just the  
14 carbon emissions measure by looking at ESG  
15 factors that could help improve the profile of  
16 the portfolio that we invest in.

17 Next slide. So the one thing that I  
18 have to stress a lot within the development of  
19 the strategy is the power of engagement. Now,  
20 I don't think I need to spend too much time  
21 here because I know you spent a lot of time in  
22 your proxy voting in your engagement. And I  
23 want to actually congratulate you for what you  
24 have done over the last few years on proxy  
25 access on climate change risk mitigation, on

1 Proceedings

2 board diversity. So you certainly understand  
3 the power of engagement.

4 I am going to skip the next slide as  
5 well and go to page 11. This is something  
6 that I think you want to consider because  
7 there are a number of low carbon indices out  
8 there. And knowing that you currently invest  
9 in the Russell 3000, if you want to switch a  
10 benchmark, the one question -- we are away  
11 from all the carbon and environmental  
12 discussion; we are back to kind of the choice  
13 of a index. As soon as you start considering  
14 another index provider this is something that  
15 you need to be aware of, and that is there is  
16 inherently tracking error or high volatility  
17 as soon as you move away from another index.  
18 So for example if you go to a comparable MSCI  
19 USA IMI Index to the Russell 3000, you would  
20 be looking at an increase in tracking error of  
21 9 basis points. A comparable S&P composite  
22 1500, you would be looking at an increase in  
23 tracking error of 48 basis points. So just  
24 keep that in mind if you do consider moving  
25 away from Russell 3000, inherently you would

1 Proceedings

2 face higher tracking error.

3 So what are the things we should  
4 consider. Next slide, please. We talk a  
5 little bit about the carbon reserves, the  
6 carbon emissions, and think about whether you  
7 should consider more of renewable energy. As  
8 you manage risk there is the question of  
9 should we divest, should we reweight, and  
10 should we consider engaging more with the  
11 fossil fuel companies that we choose to invest  
12 in.

13 The following slides before I show you,  
14 how they -- we think of low carbon investing,  
15 it's really about balancing the two  
16 priorities. Now, as a fiduciary you still  
17 want to generate a capital rate of return that  
18 is consistent with your benchmark choice.  
19 That's your financial responsibility. But  
20 also more and more organizations like yourself  
21 are considering the other environmental  
22 responsibilities that you should consider in  
23 your -- as you carry out your fiduciary  
24 responsibility. How should you consider that  
25 now? Oftentimes they can be in conflict. We

1 Proceedings

2 looked at the fossil fuel divestment analysis.  
3 Are you comfortable taking that level of risk  
4 to address your carbon emission risk. In our  
5 strategy as we think about low carbon  
6 investing, it's really about balancing the two  
7 priorities; how do we balance the two  
8 priorities and get -- and strike the right  
9 balance and still maintain the exposure to the  
10 right market that you choose, while at the  
11 same time significantly mitigate the climate  
12 change risk in your portfolio.

13 So moving on to Slide 14, this is how we  
14 do it. And it's really about at the high  
15 level addressing the immediacy by focusing on  
16 carbon emissions as the key indicator.  
17 Effective impact is where we balance the two  
18 objectives. We really try to reduce exposure  
19 to carbon emissions by over 50 percent and  
20 improve the overall ESG profile. We also at  
21 the same time aim to minimize tracking error  
22 to less than 50 basis points. Now keep in  
23 mind, remember when we looked at the fossil  
24 fuel divestment the risks there was over 20  
25 basis points, so keep it in the right context.

1 Proceedings

2 And then within the strategy we also  
3 incorporate shareholder engagement.

4 Now the next slide, this is how we  
5 actually do it within our process. It's a  
6 reward and penalty model. So we want to  
7 reward the low carbon footprint company and  
8 want to penalize the high-carbon footprint  
9 company. Now, it's not as simple as that. We  
10 also consider a number of different factors.  
11 The model has two scores. So on the left you  
12 see the carbon intensity score and on the  
13 right the carbon readiness score. The  
14 intensity score on the left helps us set the  
15 direction where we -- do we want to overweight  
16 or underweight.

17 Now, how do we choose? We look at the  
18 carbon footprint of a company, we look at it  
19 within each sector. So it's important, very  
20 important to consider the sector. Otherwise  
21 when you compare a utilities company to  
22 telecommunications company, I think you know  
23 what you want to buy more and what you want to  
24 buy less but that's not the point. The point  
25 is you have to consider all the utilities

1 Proceedings

2 together and you want to reward more of the  
3 companies that are lower in carbon footprint  
4 within the utility sector and penalize the  
5 ones with higher carbon footprint. After that  
6 we also adjust that ranking with its ESG  
7 score, so we want to look at how well the  
8 governance aspect. We also want to look at  
9 the product carbon footprint. We want to look  
10 at how companies are considering green  
11 technology and whether they are taking  
12 advantage of the green technology out there.  
13 So we adjust the carbon footprint ranking  
14 within the sector by its ESG score and then  
15 come up with this carbon intensity score that  
16 helps us determine whether we want to  
17 overweight or underweight a company.

18 MS. PELLISH: Can you talk for a moment  
19 how you got the data supporting those scores?

20 MS. WONG: So we look at MSCI ESG data.  
21 We use a proprietary model to do the ranking  
22 and then do the adjustment with the ESG score.  
23 Now, the data itself is a little challenging.  
24 Not a lot of companies actually report, I am  
25 sure you know. Then we have to rely on

1 Proceedings

2 estimation. So we have gone through, doing  
3 our strategy development we looked at a number  
4 of different data providers. We look at  
5 analytic MSCI, South Pole -- there is another  
6 one that I missed.

7 MR. TAMONEY: Chukoff.

8 MS. WONG: Chukoff, thank you. We think  
9 about the breadth of the data and try to see,  
10 analyze, the estimation models that they have.  
11 And then at the end, we were more comfortable  
12 with what MSCI was able to cover.

13 Now, there is a lot of estimations. But  
14 I would say that over the last three years  
15 that we are managing the strategy live now, we  
16 are seeing more company reporting, we are  
17 seeing the actual reported data coming out and  
18 validating the estimation. And at this point,  
19 we feel very comfortable with the choice that  
20 we have.

21 MR. ADLER: Can I ask a question in  
22 terms of the carbon intensity, is that just  
23 Scope 1, Scope 2?

24 MS. WONG: Scope 1 and Scope 2. Now,  
25 that is why we have the ESG score incorporated

1 Proceedings

2 here, because intensity score is only Scope 1  
3 and 2. Everyone familiar with Scope 1, 2 and  
4 3? Okay, Scope 3 is the indirect and the only  
5 way right now that is captured is through the  
6 ESG score integration, because there we  
7 consider the product carbon footprint and  
8 Scope 3 it's impossible to get. Very few,  
9 very few, you can almost count by the number  
10 of one hand, actually report Scope 3 emission.

11 Sorry, there is a question?

12 MS. VICKERS: I was just going to ask  
13 just so I understand it, the weightings and  
14 the rankings are within the sector?

15 MS. WONG: Correct. Correct. And  
16 that's very important because, like I said, if  
17 you don't do it you are going to tilt towards  
18 the lower-carbon footprint sector.

19 MS. PELLISH: Why wouldn't you want to  
20 do that?

21 MS. WONG: Well, we think -- this is a  
22 beta strategy. This is not really trying to  
23 do a sector rotation where we believe one  
24 sector is going to do better than the other.  
25 So we think it's more important to try to keep

1 Proceedings

2 the sector neutral and by doing a  
3 best-in-class sector ranking will allow us to  
4 achieve that goal more easily. But more  
5 importantly we just don't think when you go  
6 out and engage let's say a utilities company,  
7 when we tell them hey, look, you are not doing  
8 enough and they often ask who are you  
9 comparing me to and I can't say well, I am  
10 comparing to you telecommunications, they  
11 wouldn't think that's effective, right? So  
12 this also helps a lot with the engagement,  
13 right? What we are comparing, Pennsylvania  
14 Power and Light with Dominion Energy or,  
15 right, so you get the more peer-to-peer  
16 comparison and it makes the engagement message  
17 much more powerful.

18 MR. ADLER: And also probably helps with  
19 your tracking error, too.

20 MS. WONG: Absolutely. Are we good with  
21 the intensity score before I move on to the  
22 right side of the page, which is the readiness  
23 score. And this readiness score helps set the  
24 magnitude. So we now have a score on the left  
25 telling us whether we want to overweight or

1 Proceedings

2 underweight on the right-hand side of page 15.

3 We have the readiness score that helps us

4 decide how much to overweight or underweight.

5 This score measures how well a company

6 mitigates and manages its climate change risk,

7 whether a company reports carbon emission,

8 whether a company has a target-to-target

9 carbon emissions, what are they doing, are

10 they achieving it or falling behind the

11 target, is it a renewable energy company;

12 those are the questions that we look at.

13 Everything else equal, a company with -- two

14 companies with the same identical intensity

15 score on the left, a company with a higher

16 readiness score, would be overweighted more or

17 underweighted less. So that's helping us

18 determine how much to over or underweight.

19 MR. FULVIO: Should we think of that as

20 a more forward-ahead assessment of how the

21 company is addressing?

22 MS. WONG: Absolutely, because the

23 carbon intensity score is more of current

24 state. That's where the company is right now

25 of its carbon footprint. The readiness score

1 Proceedings

2 would help because it's more related to  
3 policy, more related to governance, more  
4 related if you think about carbon emission  
5 deduction and what they are doing to that. We  
6 know a company that has a higher better carbon  
7 readiness score would be more ready when there  
8 is a carbon reconciliation, when there is a  
9 better technology available, a company is more  
10 proactive in adopting carbon-friendly or  
11 environmental-friendly policies. So, yes, you  
12 are absolutely right, this is a measure of  
13 more qualitative forward-looking measure of a  
14 company.

15 MR. TAMONEY: Just touch on the business  
16 of Pattern versus Southern. Southern people  
17 might know about, but Pattern and how they are  
18 different and the kind of energy company they  
19 are. So you will understand why the  
20 weightings are the rankings and, hence, the  
21 weightings came out the way they do.

22 MS. WONG: So the two companies at the  
23 bottom of the page under utilities.

24 Pattern Energy has a carbon intensity of  
25 6, 6 metric tons of carbon emissions per

1 Proceedings

2 million dollars in sales. And I also want to  
3 make a very quick point. When I say "carbon,"  
4 I actually mean more broadly like greenhouse  
5 grass. So it does cover everything, not just  
6 carbon emissions. That's 6 metric tons  
7 compared to sector average of a 1,078. Low  
8 carbon footprint, ESG score of 7. And that is  
9 a score in the range of 0 to 10, 10 being the  
10 highest, so pretty good ESG score. This  
11 company has an intensity score of 2.1. Now,  
12 2.1 is a pretty good score; it's a normalized  
13 score. Mean is 0, 1 is standard deviation, so  
14 2 means this number -- this company is 95  
15 percent better than the rest of the utilities.  
16 It's readiness score is 20. 20 is the highest  
17 and 20 -- it has a score of 20 because it's a  
18 renewable energy company, so we are giving the  
19 perfect score to a renewable energy company.  
20 The benchmark Russell 3000 has this company  
21 with a weight of one basis point. Within the  
22 portfolio, we are holding it to the maximum.  
23 So we are overweighting it, we are  
24 overweighting it by the maximum which is 20  
25 basis points.

1 Proceedings

2 Now, Southern Company is a more  
3 traditional utilities, has a lot of fossil  
4 fuels in its energy source. It has a carbon  
5 intensity almost six times the sector, right?  
6 ESG score is right in the middle, pretty  
7 mediocre. It has then intensity score of  
8 negative 2, so 95 percent worse than the  
9 sector. It's readiness score is 6.4, so again  
10 it's actually below the average, the average  
11 being 10. So when the benchmark has a weight  
12 of 18 basis points, we actually underweight it  
13 by 13. We are holding just a tiny bit of it,  
14 5 basis points.

15 MR. FULVIO: So you maintain the ability  
16 to still engage?

17 MS. WONG: Correct, correct. That's  
18 important because this strategy is about  
19 engagement, it's not about divestment.

20 MR. ADLER: Can I ask a question: How  
21 did you arrive at the limit of 20 basis  
22 points?

23 MS. WONG: So it's really a number of  
24 different scenario analyses. So when we  
25 decided to work on this we come up with

1 Proceedings

2 different levels, 20, 35, 5, 10 and try to see  
3 how that would impact the tracking error and  
4 impact the carbon emission reduction. This  
5 number happens to give us the best ability to  
6 achieve the 50 percent reduction in carbon  
7 emissions and then achieving a 50 basis points  
8 below tracking error. Now, this number can  
9 change. This strategy, this model, is very  
10 flexible. This 20 basis points is the maximum  
11 overweight. We.

12 Actually have a client in this strategy  
13 right now that is not so comfortable with the  
14 risk parameters that we have. They want it to  
15 be closer to the benchmark, so we have this  
16 carbon readiness score at the scale of 0 to 5  
17 for that particular client. Now of course  
18 with that what you get is a lower reduction in  
19 carbon emissions, so again it comes back to  
20 the tradeoff that you would face between the  
21 two key numbers.

22 MR. ADLER: Let me ask one other  
23 question. What's the effect on  
24 capitalization? In other words, my guess is  
25 that Pattern Energy Group, which I never heard

1 Proceedings

2 of, is a --

3 MS. WONG: It's a one basis point  
4 benchmark.

5 MR. ADLER: One basis point compared to  
6 Southern which is a big, giant company. And I  
7 don't know if that's a pattern or if that  
8 happens to be just the companies you included  
9 here, but does it have an effect of the  
10 overall capitalization, the median  
11 capitalization?

12 MS. WONG: When we looked at this the  
13 last time, the capitalization sector was well  
14 within 100 basis points or 150 basis points.  
15 So we are actually still maintaining pretty  
16 good kind of risk characteristics of the  
17 benchmark.

18 MR. LEVINE: Can I ask one question to  
19 John's point on that because when you do the  
20 carbon intensity sector average, Southern  
21 Company is also a very large utility. When  
22 you compare it to the average, if you have a  
23 very big company of course they are going to  
24 have higher carbon output.

25 MR. ADLER: But it's per million dollars

1 Proceedings

2 of revenue.

3 MR. LEVINE: Oh, that's right, it's per  
4 million. That answers it. Thank you.

5 LIANG: Following on that point about  
6 scale, the carbon readiness score, that's  
7 forward looking. So a reduction if Southern  
8 was ever willing to be more green, they would  
9 have a larger impact because of what they  
10 produce right now. Is that --

11 MS. WONG: Absolutely.

12 LIANG: Is that taken into account in  
13 the readiness score or are you a little more  
14 agnostic to the scale?

15 MS. WONG: Right now we are agnostic to  
16 the scale. But that's why when we engage with  
17 Southern, right, we would have that point;  
18 hey, you are a huge contributor right now to  
19 the total carbon footprint just because of  
20 what you do, so little steps that you take can  
21 have a pretty dramatic impact or improvement  
22 to the economy. So one thing we try to do  
23 right now is we try to focus on 50 top most  
24 carbon-intensive companies and do more of a  
25 focused engagement, because it's more

1 Proceedings

2 effective if we do it that way. But that's  
3 kind of a little different occasion.

4 MR. TAMONEY: I would like to move on.  
5 I don't want to overstay our welcome. I know  
6 page 17 is an important page and we want to  
7 spend a couple of minutes on that for the  
8 group.

9 MS. VICKERS: If the time is okay.

10 MR. TAMONEY: We have plenty of time.  
11 We can be here through the weekend.

12 MS. STANG: The other people are on ice,  
13 we are good.

14 MS. VICKERS: Please go through the same  
15 conversation with the two companies on the  
16 energy sector just going through the scores  
17 and --

18 MS. WONG: Yes, of course.

19 MS. VICKERS: -- if you can, just walk  
20 us through that.

21 MS. WONG: So we have got Schlumberger  
22 and ExxonMobil. Schlumberger has a carbon  
23 intensity -- did I say it correctly  
24 Schlumberger?

25 MR. ADLER: It just shows my ignorance.

1 Proceedings

2 MS. WONG: Absent my Chinese accent, I  
3 think I got pretty close. It's carbon  
4 intensity is 56 metric tons per million  
5 dollars in sales. Sector average 309, so  
6 again lower carbon footprint than the sector.  
7 ESG score is higher than the average, right,  
8 so it has an intensity score of 1.3. Now, not  
9 as good as Pattern as you compare to the top  
10 line, but it's still a pretty good company  
11 within the sector of energy. It's readiness  
12 score is 15 so that's also pretty good, 15 out  
13 of 20. Benchmark weight, 37 basis points,  
14 right. We are overweighting them. Now we are  
15 overweighting it by 15 basis points and that  
16 15 basis points, again, is the maximum  
17 overweight determined by the readiness score.

18 MS. STANG: Why does it have a 15  
19 readiness score versus a 10 versus a 20 being  
20 perfect? Because they are doing --

21 MS. WONG: Well, I don't -- I don't have  
22 the details on this. But what I can say is  
23 that knowing what we consider, better policy,  
24 better willingness to accept climate change  
25 risk, more willing to set policies and also do

1 Proceedings

2 something to really keep up -- because one  
3 thing is to set the policy, the other thing is  
4 actually doing, executing to actually hit the  
5 emissions target or putting climate competent  
6 members to the board of the directors. So  
7 those are the things that we consider. And I  
8 think Schlumberger would have done quite a few  
9 of those to be able to get a pretty good  
10 carbon readiness score of 15.

11 ExxonMobil, I think we actually know  
12 better what ExxonMobil does or does not do.  
13 Intensity score 572, so higher than the  
14 sector. It's ESG score of 3. Well, I think  
15 we all know why and there is enough on  
16 ExxonMobil, the shareholder proposal and how  
17 they come back, the lobby that they do to try  
18 to kind of dismiss the risk, and what we have  
19 all read about on the news. Therefore it has  
20 a carbon intensity score of negative 1.1, so  
21 definitely below average. And readiness score  
22 7.4, again that is not surprising that it has  
23 a readiness score below median. Benchmark  
24 weight, 1.33. Very big company in the sector.

25 We are underweighting it by 14 basis

1 Proceedings

2 points. Now, again the point of still holding  
3 it to stay engaged with the company is what is  
4 important about this strategy. We are not  
5 divesting from it. We think it's more  
6 important to have a seat at the table and be  
7 able to vote proxy and be able to engage with  
8 them on what they are doing in their corporate  
9 plan to transition to lower-carbon economy.

10 MS. VICKERS: Right. But your model can  
11 penalize ExxonMobil for their low scores or  
12 their behavior by reducing the holdings,  
13 without -- if you -- you know, divestment was  
14 on the table, then we would have --

15 MS. WONG: You would have no seat at the  
16 table --

17 MS. VICKERS: -- to influence that.

18 MS. WONG: Right. So the example that  
19 we saw earlier, the page about the divestment  
20 risk, that is with Exxon to come completely  
21 out of the portfolio.

22 MS. PELLISH: Can you talk very briefly,  
23 because I am sure this can be a very long  
24 discussion, who in your organization is  
25 actually implementing engagement?

1 Proceedings

2 MS. WONG: So within BNY Mellon, we have  
3 a proxy voting and governance committee. So  
4 that committee is responsible for setting  
5 proxy voting guidelines and also responsible  
6 for corporate outreach. So we meet  
7 with -- Exxon is definitely one of them. We  
8 meet with management, we meet with sometimes  
9 the board of directors, we talk to them, and  
10 that has been around before any of this is a  
11 significant topic, executive compensation,  
12 board diversity and things like that. And  
13 more recently this is an important topic  
14 around the table and that team is responsible  
15 for meeting with hundreds of companies every  
16 year in events and topics like this.

17 Now obviously we also -- Mellon Capital  
18 is a signatory to CDP, a signatory to PRI. We  
19 work with SIRI, for example. We signed a G20  
20 letter when our president decided to pull out  
21 of the Paris agreement. We think it's  
22 important for us to stay in front of this very  
23 important topic. And so our commitment to the  
24 Paris accord, so we signed a G20 letter. And  
25 those are the things that we do to help

1 Proceedings

2 engage, stay engaged.

3 MR. ADLER: Two questions. The first  
4 for Robin or Susannah, in our case we hold  
5 onto the our proxy voting ourself? That's  
6 true for TDA and QPP, right?

7 MS. PELLISH: Yes.

8 MR. ADLER: And carbon readiness score,  
9 the range is 1 to 20.

10 MS. WONG: 0 to 20; 0 the lowest, 20 the  
11 highest.

12 Now, we can move on to page 17 and this  
13 shows you what our portfolio actually looks  
14 like after the model. We have a 50 percent  
15 reduction in carbon intensity, so we meet that  
16 green objective. ESG rating is 17 percent  
17 better than the benchmark, so we are doing  
18 better than the benchmark in terms of ESG  
19 profile. I would say the beauty of the model  
20 is the bottom -- the very bottom of this slide  
21 you see the sector-by-sector reduction and how  
22 you see we are able to achieve reduction in  
23 carbon exposure one sector after another  
24 across the -- sorry, the eleven sectors within  
25 GIX. So this is GIX. What's the message?

1 Proceedings

2 The message is climate change is everyone's  
3 issue. It's not one sector; it's not just the  
4 utilities or the energy. Now they have more  
5 to do with it and we think we would emphasize  
6 that point in engagement meetings, but it's  
7 also important to recognize that other sectors  
8 can also do something. Think about real  
9 estate. If they don't address this risk,  
10 think about the rising sea level, what it  
11 would do to the value of real estate  
12 companies. So those are the things that it's  
13 important to us. This strategy is inclusive.  
14 And we are able to achieve carbon reduction in  
15 every sector of the strategy.

16 Now, what does it do to the risk profile  
17 and that's on Slide 18. The empty risk or  
18 tracking error is 32 basis points, so that's  
19 below the 50 basis points. The 50 basis  
20 points is a cap. And we will say that we  
21 achieved that objective if we stay below the  
22 50 basis points, so we are doing that at 32  
23 basis points. If you look at the sector  
24 profile at the bottom of this page, you see  
25 utilities we are underweighted by 13 basis

1 Proceedings

2 points. Energy, 14 basis points. So the  
3 point I would make here is we don't have to  
4 take a significant sector underweight to  
5 achieve the carbon footprint reduction that  
6 you see on page 17. Right, so at the 13 basis  
7 point underweight in utilities, we are able to  
8 reduce its carbon footprint by 64 percent.  
9 And that is achievable because of the  
10 best-in-class process.

11 LIANG: What about the exposed tracking  
12 error?

13 MS. WONG: So we just hit three years in  
14 this strategy at the end of October. We  
15 started it in October 31, 2014. That  
16 portfolio has exposed tracking error of 51  
17 basis points, so right at the 50 basis point  
18 mark.

19 MR. FULVIO: We are going to be looking  
20 and talking to others about how they approach  
21 this and look at a lot of numbers. When we  
22 think about others who might be -- we  
23 recognize you could apply this process to  
24 really any benchmark that TRS or any other  
25 investor would choose. And when we start

1 Proceedings

2 thinking about how efficient this strategy is  
3 at minimizing tracking error but also reducing  
4 the carbon exposure, is that efficiency  
5 greater in the U.S. or when we look at more  
6 global mandates?

7 MS. WONG: I actually through our  
8 analysis, and we -- just to give a little bit  
9 of context, we are currently running live  
10 Russell 3, Russell 1 and EAFE. We also have a  
11 paper portfolio in ACWI including emerging  
12 markets, because EAFE is all developed  
13 markets. I see more efficacy in emerging  
14 markets. So like for example here you see a  
15 32 basis point tracking error, a 50 percent  
16 reduction. In a portfolio against ACWI, again  
17 including all developed and emerging markets I  
18 see a similar risk level, a reduction of 60  
19 percent in carbon footprints with emerging  
20 markets.

21 MR. FULVIO: So we shouldn't compare the  
22 efficiency of the U.S. market to the  
23 efficiency of the global market?

24 MS. WONG: Right. You should expect to  
25 see better, more bang for the buck if you

1 Proceedings

2 will, with any benchmark with emerging  
3 markets.

4 LIANG: What about the data challenges  
5 for emerging market companies; do you find  
6 they are more or less transparent?

7 MS. WONG: It's really the same old  
8 issue with just the accuracy and availability.  
9 So the data -- if you really want to look at  
10 only reported data, you can't come up with a  
11 strategy, there is no way. To give you a  
12 little bit of background: When we looked at  
13 the Russell 3000, the number of reported  
14 companies were really around 600. 5, 600 or  
15 so companies that actually report carbon  
16 emissions. The percentage is a little better  
17 in terms of market capitalization. We are  
18 looking at 70 percent, because the larger  
19 companies tend to have more resources to do  
20 the reporting. Same thing with emerging  
21 markets; the number is pretty similar. Now,  
22 that's why it's important to build the  
23 confidence in the estimation model, because  
24 without estimation you can't really ignore 30  
25 percent of your benchmark and not invest in

1 Proceedings

2 those, right.

3 MR. TAMONEY: Do you want to talk a  
4 little bit about our ability to customize,  
5 whether an investor was willing to relax  
6 tracking error, would want us to have a bigger  
7 penalty, lower penalty just as far as  
8 customization?

9 MS. WONG: Right. So I mentioned we  
10 have an investor right now that is not too  
11 comfortable with the 50 basis points tracking  
12 error because their investment committee  
13 wanted to get closer to the index. So there  
14 we were running 25 basis points tracking  
15 error, the readiness score is recalculated to  
16 5 as opposed to 20. We also have other  
17 investors who would want to have bigger  
18 penalty, so they were asking us to go to 100  
19 basis points in tracking error and want to be  
20 willing to do that to get a higher reduction  
21 in carbon footprint.

22 So the model itself is capable of doing  
23 kind of the scaling up or down depending on  
24 obviously your risk profile, which I think is  
25 a good segue onto the next slide. This is

1 Proceedings

2 what we call the carbon efficiency frontier.  
3 Right, so this is a traditional investment  
4 frontier except on the Y axis, we have the  
5 reduction in carbon emission exposures. So  
6 the X axis is still tracking error. Typically  
7 in an investment world you see the return on  
8 the Y, but here we have that in terms of  
9 carbon emission reduction. The top curve here  
10 is the carbon intensity reduction curve and  
11 the bottom curve is the ESG improvement. What  
12 you see here is for every single level of  
13 risk, you have -- you can have different  
14 reduction in carbon footprint in your  
15 investment. Now obviously it levels off, so  
16 after a certain point it really doesn't make  
17 sense. Why would you want to take extra risk  
18 when there is really no more additional green  
19 return, if you will. But on the left-hand  
20 side you can certainly choose more risk or  
21 lower risk, again to your level of risk  
22 tolerance. And given that you are in the  
23 separately managed account, this is very, very  
24 doable in terms of scaling the risk up or  
25 down.

1 Proceedings

2 MR. ADLER: So there is no scale on  
3 here, you know. At the most, if you would say  
4 the most efficient on tracking error, what  
5 would you say that is?

6 MS. WONG: Well, so in terms of the  
7 Russell 3000, we didn't really put it in here  
8 because this is supposed to be for  
9 illustration purposes only. But in the  
10 current Russell 3 portfolio, the most  
11 efficient is what we have chosen within the 50  
12 percent reduction and the 32 basis point  
13 tracking error.

14 MR. ADLER: Oh, the current, okay.

15 MR. TAMONEY: We have overstayed our  
16 welcome, but we are pleased to have the time  
17 that we did with you. I think at this point I  
18 would be glad to take followup questions.  
19 Susan can direct them my way. I want to thank  
20 you for your time. I hope it's been  
21 instructive and I hope we can be of help.

22 MR. ADLER: Thank you.

23 MS. WONG: And I will get the followup  
24 on the return of that divestment page.

25 MR. ADLER: Now we are bringing in group

1 Proceedings

2 number 2.

3 Welcome to the TRS Investment Meeting.  
4 Just so you know, we are in public session and  
5 being live-streamed. Please introduce  
6 yourself for our stenographer and then the  
7 floor is yours.

8 MS. TIMMONS: Sounds good.

9 Good morning, everyone. Thank you for  
10 having us today. I am Margaret Timmons. I am  
11 part of the asset owner coverage team at MSCI.  
12 And I really appreciate the invite to join  
13 today's meeting. I have Raman Subramanian who  
14 is our managing director and head of applied  
15 research. And really our hope today is to  
16 outline a couple of thoughts and some  
17 information that was brought to our attention  
18 and has to do with climate change and  
19 specifically around low carbon, fossil fuel,  
20 and some of the exposures that a lot of our  
21 investment clients and their portfolios are  
22 being faced with in today's environment.

23 And one of the things that we found is  
24 that there are several stages that the  
25 clients, the asset owners such as New York

1 Proceedings

2 City Teachers, are coming to us with is the  
3 education phase, the analysis phase, and then  
4 there is the implementation. But in all three  
5 of those phases, there are a lot of questions  
6 that arise. And one of the things that has  
7 sort of been a bittersweet situation is the  
8 abundance of information that is now present  
9 around this topic and sorting through that to  
10 find out what is effective and what applies to  
11 our specific case and the questions that you  
12 have.

13 So what we put together today is a  
14 number of slides. We wanted to be  
15 interactive. We welcome the questions that  
16 you have. I think we are in a fortunate  
17 position at MSCI, for those that are not as  
18 familiar in terms of the businesses that we  
19 cover. Index being the primary business that  
20 we are here today. We also have a risk  
21 analysis business more commonly referred to as  
22 Barra and then our research component, but I  
23 share that because we don't actually directly  
24 invest any assets. So in terms of being a  
25 third-party and the incentives that may be

1 Proceedings

2 included in that, our responsibility really is  
3 to make sure that any tools, any of the  
4 indices, any of the information that we have  
5 that's available to you as New York City  
6 Teachers and that analysis, that we make sure  
7 that is brought to your attention today.

8 So with that being said, I will turn it  
9 over to my colleague Raman and we can begin  
10 with the presentation today.

11 MR. SUBRAMANIAN: Thank you, Margaret.

12 Thank you for inviting us to talk about  
13 climate change and the risk involved. The way  
14 I have structured this presentation is I will  
15 start with laying down the problem, so what we  
16 are trying to solve for. I will try to also  
17 talk about the risks that is involved in the  
18 portfolio because of the climate change. Then  
19 we will talk about the frame work which  
20 investors have used, asset owners, pension  
21 plans, foundations have used, kind of what are  
22 the framework, what are the tradeoffs  
23 involved. Then the solutions that have been  
24 presented to them and what they have done, so  
25 implementable action, look at the solution,

1 Proceedings

2 and what are the tradeoffs, and then what they  
3 have decided.

4 So I will probably spend some time  
5 laying down the problem because that will set  
6 the stage for the framework and the solution.  
7 So if you look at the dec and go to Slide 3,  
8 we can move the slides. So there  
9 are -- when we talk about climate change, I  
10 think some of this for you because you have  
11 might have heard from others, there are two  
12 kind of risks we are talking about:

13 One is broadly the scientific community  
14 says that if the global warming continues,  
15 then we have also catastrophic climate change  
16 and raising the sea level and everything. So  
17 that leads to what we call a physical risk.  
18 That means if you have properties in the  
19 coastal region, if you have refineries in the  
20 coastal region, they will get impacted because  
21 of what is called the physical risk.

22 The second kind of risk, which is more  
23 related to the impact which has taken place  
24 and the low carbon transition we are talking  
25 about, is more related to the fact that the

1 Proceedings

2 entire countries, various countries have come  
3 together and started to understand that they  
4 didn't want the global warming to continue.  
5 So the scientific community have said by 2100  
6 if the current rate of emissions and release  
7 of carbon greenhouse gases continue, the  
8 global temperature can go up to 4 percent or 4  
9 degrees centigrade. And they took a pledge in  
10 2015 held in Paris, they said we are going to  
11 reduce that target from 4 percent to 2  
12 percent. They want to say we want to do a  
13 2-degree increase in the temperature. What it  
14 means that if that pledge has taken place,  
15 then some of the carbon-intensive assets will  
16 not be able to sustain the amount of emission.  
17 So that's what we are talking about, the  
18 transition risk.

19 So to put some numbers, if you go to the  
20 next slide, on Slide 4 this leads to the  
21 concept of carbon budget. Carbon budget says  
22 if you take the pledge and let the total raise  
23 to be not more than 2 degrees, then the total  
24 budget stays at about 1 trillion tons of  
25 carbon dioxide can be released in that

1 Proceedings

2 process. But that's the budget based on the  
3 pledge which has taken place. But if you take  
4 all the assets, all the reserves of fossil  
5 fuel which are there and you burn them, you  
6 are talking about 3 trillion tons of carbon  
7 dioxide which has been released. So that  
8 means that if you abide by the pledge, then we  
9 are not going to burn all the carbon and that  
10 is going to release -- that won't be released  
11 and that will create what is called  
12 carbon-stranded assets. So that's a basic  
13 problem we are trying to solve saying if you  
14 have in your portfolio today exposure to  
15 assets which are carbon intensive and fossil  
16 fuel reserves, then you are not going to burn  
17 them and that will -- basically they will lose  
18 economic value because you cannot take them  
19 out and resell them. And if you have exposure  
20 to coal companies and oil companies and  
21 everything, because of that the economic value  
22 will go down, that will impact your portfolio.  
23 So that's one of the problems.

24 The second one which is related to  
25 carbon-stranded assets is as technology is

1 Proceedings

2 improving, and we have seen it happening in  
3 other parts of the world, slowly there is a  
4 move towards renewable energy. That means if  
5 you have an asset which was constructed or  
6 built to use fossil fuel as an energy  
7 parameter, that won't be able to use be used.  
8 So if you have a utility power plant which is  
9 based on coal or natural gas, you cannot run  
10 that because there will be no fuel to run it.  
11 That will create a second kind of issue, which  
12 is also part of the carbon-stranded assets.  
13 And this was highlighted by various  
14 practitioners. And you will see one on Slide  
15 5 you will look at, Al Gore who brought this  
16 up.

17 If you look at Slide 6 this is not a new  
18 thing, carbon-stranded asset is not a new  
19 thing. It has happened in our industry's  
20 histories. We have seen these kind of things  
21 happening, so many of you might still be  
22 holding onto those cameras that use films.  
23 But there was one historical case of what is  
24 called Pony Express and this is 1860s was  
25 launched. They was providing mail service

1                               Proceedings

2               from East Coast to West Coast and it ran for  
3               19 months. And then the Pacific Telegraph  
4               opened up, so all the ponies and horses which  
5               were there got stranded and there was no  
6               utility for them. So this is -- the  
7               carbon-stranded asset is not a hoax or fake  
8               news kind of thing. It's actually happened  
9               historically. And many of the assets which  
10              are linked to that has got stranded. And so  
11              we see that this is coming down and coming  
12              down very fast.

13                      So on Slide 7 what some of the  
14              corporates have reacted to that, especially in  
15              Europe, we have seen some of the larger power  
16              plants operators like GDF Suez have started to  
17              write down their property. They took about a  
18              \$20 million or 14.9 billion euro write-down in  
19              2015. Same thing happened with RWE, which is  
20              a German power plant operator. They also took  
21              a close to \$5 billion write-down, so these  
22              write-downs are coming up in a very fast  
23              manner. And if they have to abide by the  
24              regulation in the budget, we will see more of  
25              this scenario going to play out in near time.

1 Proceedings

2 So that's the problem.

3 And then the next question is that if  
4 carbon-stranded assets are going to be a big  
5 point of it, where -- in a broad portfolio  
6 like All Country World Index, which is the  
7 MSCI global benchmark which includes emerging  
8 markets companies, where does this exposure  
9 lie in. So on Slide 8 we show down that if  
10 you look at just emissions, those are the blue  
11 bars, roughly 80 percent of emissions is  
12 concentrated in three sectors; energy,  
13 materials, and utilities. So they are the  
14 biggest polluters in the world in terms of the  
15 operations they are doing. If we look at the  
16 future reserves, the potential stranded-carbon  
17 assets of the debts, most of the assets are in  
18 the energy sector. About 80 percent of the  
19 future potential emissions sits in the energy  
20 sector. So what we are trying to solve is  
21 trying to minimize this stranded-asset  
22 exposure risk, so that's one thing.

23 Second thing is in terms of number of  
24 companies, when you talk about number of  
25 companies because this is sector-wise, these

1 Proceedings

2 three sectors represent about 15 percent of  
3 market cap in the global benchmark. But in  
4 terms of real impact, you are talking about 20  
5 percent of the names. The broader benchmark  
6 has about 2,500 names, so you are looking at  
7 20 percent of the names is what you are really  
8 worried about in terms of getting stranded  
9 assets.

10 Now, in terms of the --

11 MS. VICKERS: May I interrupt before you  
12 go to Slide Number 9. Just in terms of carbon  
13 exposure, are you talking about sort of carbon  
14 emissions and footprints as well as stranded  
15 assets and, you know, future emissions; how do  
16 we, you know, keep those two things in mind at  
17 the same time?

18 MR. SUBRAMANIAN: Yes. So when we come  
19 to the solution, you will see there are two  
20 different ways of approaching it. So one is  
21 that most one simple solution can be, I don't  
22 care about today's emissions, I do care about  
23 the potential emission. So I can completely  
24 remove those companies which have potential to  
25 be stranded assets, so those that have

1 Proceedings

2 reserves, fossil fuel reserves and everything.  
3 So kind of divestment approach. I would say  
4 that I look at a company it has coal reserves,  
5 I don't want to hold that coal company because  
6 I am worried that that will get stranded.

7 The other one, which that completely  
8 ignores, emission. The other approach is I do  
9 worry about the stranded assets which are the  
10 potential emissions, but also worry about how  
11 technology can impact on the current  
12 emissions. If you have utility company which  
13 is completely based upon fossil fuels and  
14 renewables come into that region and  
15 regulation comes in, then that also becomes  
16 stranded assets. So when we talk about trying  
17 to find a solution, we are trying to minimize  
18 the impact of both the current emissions, also  
19 the potential emission. So that's why when we  
20 look at the solution, you will see that one of  
21 the indexes which we will talk about -- or  
22 actually two is trying to minimize both the  
23 current emission and future emission. And  
24 when we talk about emission, again there are  
25 different definitions. There is the Scope 1

1 Proceedings

2 definition, Scope 2 definition, Scope 3  
3 definition. So what we are worried more  
4 about, the Scope 1 and 2. Scope 1 is direct  
5 burning of fuel in your premises. Scope 2 is  
6 more in data. So for example if you are  
7 buying utility, you are adding to the carbon  
8 footprint. So when we talk about minimizing  
9 the impact of your total emission of carbon  
10 footprint, we are trying to look at both Scope  
11 1 and 2 definitions.

12 MS. VICKERS: And because you don't have  
13 Scope 3, is that the reason why other sectors  
14 don't have any future emissions listed?

15 MR. SUBRAMANIAN: So future emissions is  
16 mostly related to the stranded assets which  
17 are the fossil fuel reserves under that, so  
18 these are the ones that potentially when you  
19 burn them. So if you don't burn them, there  
20 will be no -- and those are mostly confined to  
21 energy and material companies' risk.

22 MS. VICKERS: Right. But of course, you  
23 know, all of these sectors they are currently  
24 emitting and also will be emitting going  
25 forward?

1 Proceedings

2 MR. SUBRAMANIAN: That will be captured  
3 in the emissions. But if the -- if the energy  
4 is not generated through the fossil fuel, then  
5 they will not be able to generate anything in  
6 the Scope 2 emissions.

7 MS. VICKERS: Got it.

8 MR. KAZANSKY: Can I ask something. If  
9 we go back to page 6, just curious, so in the  
10 examples that you use clearly with the Pony  
11 Express there was one piece of technological  
12 concept that showed up on the side that  
13 immediately made the Pony Express obsolete.  
14 With Kodak, it was having the digital camera.  
15 So with coal we have had wind for a while, we  
16 have had solar for a while, we have  
17 electric -- you know, electric cars for a  
18 while. What kind of horizon do you foresee  
19 that either one piece of this current  
20 technology is going to make that flip or is  
21 something down the road going to happen that  
22 we are not aware of yet that's going to  
23 accelerate?

24 MR. SUBRAMANIAN: I think that's a great  
25 question, because at the end of the day what

1 Proceedings

2 matters for investors or the users of this  
3 energy is what is called the cost of them.  
4 And today when you look at the cost of the  
5 ratings of renewables, it started to reach  
6 risk parity. Risk parity is when you look at  
7 the economic value of generating one kilowatt  
8 of power from coal and fossil fuel, what's  
9 cheaper maybe five years ago but without  
10 subsidies now. The risk parity of costs of  
11 production has come down to solar and other  
12 renewables. As risk parity has been  
13 approaching if you are given the option to  
14 either use a fossil fuel based and then  
15 non-fossil fuel based, then probably going for  
16 the one which is much, much more cleaner.

17 The second one there is going to be  
18 regulations coming up, concept of carbon tax.  
19 So as carbon tax is being put on the fossil  
20 fuel, the cost of generation will be exceeding  
21 that of risk parity for renewables. That  
22 means all things will be accelerated. And  
23 then if you look at the commitment made by  
24 companies like China and India to put more  
25 renewables, you will see those companies will

1 Proceedings

2 slowly move towards more a non-fossil  
3 fuel-based economy. Whereas some of the  
4 market in the Europe has started to move out,  
5 U.S. is the one that is lagging behind. So  
6 at some point U.S. has to come up and have to  
7 go to the commitment they made on the budget  
8 on the carbon capping. Then the acceleration  
9 of the stranded assets will be much more  
10 volatile. That's what Al Gore is saying. You  
11 will see it very soon because you already  
12 started to see that, so that risk parity is  
13 the one magic number. And I think 2015, 2016  
14 it was reached for solar and many other  
15 markets which don't even subsidize the fuels.

16 So let's move on to Slide Number 12 and  
17 13, because now the solution and the  
18 framework. So we all agree that it's getting  
19 hotter and climate change is bad. What is the  
20 solution. One solution can be, you know, I  
21 don't like coal, I want to get rid of it. I  
22 want -- this is what happened in tobacco also;  
23 we said we don't like it, let's divest it.  
24 When you do that, there is two things:

25 One is that you don't give -- the

1 Proceedings

2 companies which are today coal operated or  
3 utility-operated based, you don't give a  
4 chance for them to reform. And why I am  
5 saying that, there are already many utility  
6 companies are slowly moving away from the  
7 coal-based fossil fuel based into more  
8 renewables. That means if you take the  
9 divestment approach, you are forcing them to  
10 be not part of your portfolio. And that means  
11 either the commitment they made to move into  
12 renewables will get out of the table and also  
13 if they have done the renewables as part of  
14 the policy you will not be able to capture the  
15 growth of the new technology in your portfolio  
16 so. That's one of the issues with divestment.  
17 And it also creates a short-term risk.  
18 Short-term risk is that maybe it's a long-term  
19 thesis that stranded assets will come in, but  
20 in the short term what's going to happen once  
21 you have divested something. Maybe all the  
22 energy companies, you are probably 15 percent  
23 away from your parent benchmark which is like  
24 All Country World. If there is a huge energy  
25 rally for whatever reason, it's not related to

1 Proceedings

2 short-term cyclicalities, then you are going to  
3 underperform your total portfolio. So that is  
4 something that's a first issue that we have to  
5 resolve.

6 What is the short-term risk, how much  
7 tolerance do you have for short-term risk. I  
8 know in endowment space, we have seen  
9 foundations and endowments are less focused on  
10 short term. They are more focused on  
11 long-term thesis. Saying in the long term all  
12 these assets will get stranded, so that's a  
13 second thing. If you have a long-term view,  
14 not a short-term view, then probably  
15 divestment could be an option.

16 The third dimension to this is a  
17 stakeholder commitment. So in some cases if  
18 the regulation and the stakeholders are very  
19 forceful and they are forcing you to do the  
20 thing, then going for a non-divestment  
21 approach can create confusion. When you go to  
22 the board meetings, every time they are saying  
23 why are you still holding the coal companies  
24 and the fossil fuel companies. So that's a  
25 third kind of dimension, how much stakeholder

1 Proceedings

2 pressure you have.

3 The fourth is the public stance. And  
4 this is very crucial for universal owners,  
5 pension plans, public plans because at the end  
6 of the day you are there for a long term, you  
7 are not there for short term. You, as  
8 universal owner of the assets, you are trying  
9 to create sustainable growth in the company  
10 and as capital providers you are making sure  
11 there are engagement, there is good corporate  
12 governance in the workplace and that will lead  
13 to -- that means that you can't use that as an  
14 option in that case.

15 So those are the four different  
16 parameters. One is short-term risk, long-term  
17 thesis which is whether you have a long-term  
18 commitment to this goal, stakeholder  
19 commitment, how much stakeholder pressure is  
20 there, and the fourth is the dimension of  
21 universal ownership or the public stance you  
22 want to take. Depending upon the view you  
23 have, the options can change. You had a  
24 question?

25 So if you look at on Slide 13, if

1 Proceedings

2 divestment is an option and short-term risk is  
3 completely ignored, fossil fuel exclusion  
4 indices come in. So very simple. You take  
5 All Country World Index, roughly about 2,400  
6 names, look at all the potential those that  
7 have reserves, there are about roughly 130  
8 companies. Some are coal companies, some are  
9 energy companies and you completely exclude  
10 them. So that's one of the options very  
11 simple, very transparent, easy to communicate  
12 when you go to the board and say listen, I  
13 have excluded all the bad guys from the  
14 portfolio. That will create a short-term  
15 risk. And I will explain what is the  
16 short-term risk.

17 The other two options which are on the  
18 left side talks about low carbon. There are  
19 two different variances; one is call low carb  
20 target and low carbon leader. The main  
21 difference can be seen on Slide 14 and 15 is  
22 the recap. Now, as I said before, in case of  
23 ex-fossil fuels we are definitely excluding  
24 and divesting. We don't focus anything on the  
25 direct and indirect current emissions; we are

1 Proceedings

2 focused mostly on future emissions.

3 The other two indexes, low carbon target  
4 and low carbon leaders, is more focused on  
5 both aspects, both current emissions and  
6 fossil fuel reserves. Now, the difference  
7 comes where in case of low carbon target, the  
8 primary objective is to minimize the complete  
9 intensity of the low carbon emission from the  
10 current standpoint or future, but also put in  
11 the aspect that you have a short-term risk,  
12 want to minimize short-term risk. So you have  
13 a tracking error budget. So you put a  
14 tracking error budget of 30 basis points.  
15 Now, why 30 basis points, I can explain a  
16 couple of slides later. But, yes, I do  
17 believe in the long term these assets can get  
18 stranded, I do believe some of the current  
19 emissions can have a technology issue. So why  
20 don't I minimize the long-term risk, but also  
21 try to minimize the short-term risk that can  
22 come because of the complete divestment. The  
23 carbon leader index takes the middle ground.  
24 I do believe I do want to minimize short-term  
25 risk by tracking error, but I also want to put

1 Proceedings

2 a stakeholder commitment. I want to tell my  
3 stakeholders, I am excluding this long-term  
4 risk by excluding those companies. So what  
5 the carbon leader takes the middle ground by  
6 excluding the largest polluters or largest  
7 future polluters and then do the minimization  
8 of the tracking error risk. So you will see  
9 that net-net, both behave similarly. But in  
10 terms of intensity, current intensity and  
11 future intensity, carbon targeting index is  
12 much more powerful and you will see the  
13 numbers. You will see about 80 to 90 percent  
14 reduction in carbon target index without  
15 taking a huge short-term risk. Carbon leaders  
16 only achieve 50 percent reduction and slightly  
17 similar tracking error to that than carbon  
18 target index.

19 So those are the two variants. Main  
20 difference is fossil fuels only focus on the  
21 future. These two approaches, target and  
22 leaders, focus on future and current. Leaders  
23 take a middle ground by also excluding the  
24 larger polluters by divesting them, so the  
25 chances of engagement gets reduced in the

1 Proceedings

2 leaders kind of approach.

3 So now the question goes that why the 30  
4 basis points tracking error. Go to the next  
5 slide. You see that as are reducing your  
6 carbon exposure, so intensity on the Y axis  
7 and X axis talks about the leeway you have in  
8 terms of tracking error. You see you don't  
9 have to go all the way to 0 percent emission.  
10 You can pretty much achieve 80 percent  
11 reduction, approach 90 percent reduction with  
12 30 basis points or less 30 basis points of  
13 tracking error. So this is a very crucial  
14 aspect that if you are also worried about  
15 short-term risk, then this kind of clearly  
16 shows that you don't have to do a complete 0  
17 percent reduction going to 0 percent. You can  
18 still achieve 80 to 90 percent by just putting  
19 a tracking error of less than 30 basis points.  
20 So this is crucial because what we have seen  
21 in previous divestment examples, like tobacco  
22 and all those things, sometimes the headlines  
23 will become higher and sometimes you will see  
24 that tobacco companies are generating a lot of  
25 excess return compared to the benchmark. And

1 Proceedings

2 start to highlight why this \$5 million loss we  
3 are seeing in the portfolio, what are my peers  
4 who do not have carbon emissions in their  
5 portfolio.

6 MS. TIMMONS: This is what we have found  
7 has been most utilized by the asset owner  
8 community. But also keep in mind if there is  
9 specific parameters based on that, there is  
10 also customization that can be taken into  
11 account depending on what the client needs.  
12 So this is what has been the most utilized  
13 example that we thought would be important to  
14 share, but certainly there is customization on  
15 both of these forms.

16 MR. SUBRAMANIAN: So let's go to Slide  
17 19 that puts some numbers to this thing. Any  
18 questions on the methodology?

19 MS. PELLISH: I just want to make sure I  
20 understood the most utilized, the low carbon  
21 target.

22 MR. SUBRAMANIAN: In the U.S. we have  
23 seen more low carbon target. I will give you  
24 a case of CalSTERS, they put \$2.5 billion into  
25 the carbon target index, passively managed,

1 Proceedings

2 internally passively managed, so that was one  
3 of the largest commitment that we have seen on  
4 the target. If you go to some European  
5 players like FRR and also AP4 from Sweden,  
6 they have gone for the leaders' approach  
7 because their stakeholder  
8 commitment -- because they have a little bit  
9 more pressure from the stakeholder to go and  
10 divest. But they also realized when you are  
11 completely divest, you have no way of engaging  
12 with the culprits.

13 MS. PELLISH: Thank you.

14 MR. SUBRAMANIAN: So on Slide 19, we can  
15 look at the two parameters. So here we look  
16 at the performance numbers. So the first  
17 column is for All Country World Index. And  
18 this is for the last seven years and  
19 reliability of data phases out when you go  
20 prior to 2010. You have the carbon data  
21 available from 2008 onwards, but the  
22 reliability goes down. The estimation number  
23 increase with everything, so we have  
24 calculated this index from 2010. The live  
25 index exists from September, 2014 low, so

1 Proceedings

2 there is annualized tracker for close to three  
3 years now. What you can see, All Country  
4 World Index during the time period generated a  
5 return of 9.8 annualized return with a risk of  
6 12.3. When you look at the Low Carbon Target  
7 Index, you can see they are very comparable  
8 performance because again the index is  
9 tracking that broader benchmark with similar  
10 kind of risk. And you look at their active  
11 return is about .2, 20 basis points, but the  
12 realized tracking error -- because we were  
13 targeting 30 basis points of tracking error,  
14 the realized tracking error is 40 basis  
15 points.

16 MS. PELLISH: Can I ask a question. So  
17 maybe you are going to get there to the  
18 turnover, but does this include the impact of  
19 transaction cost?

20 MR. SUBRAMANIAN: This doesn't include  
21 the impact of transaction cost.

22 MS. PELLISH: If you were going to  
23 guesstimate, because it's a pretty significant  
24 difference between --

25 MR. SUBRAMANIAN: So I can tell you some

1 Proceedings

2 performance drag which can happen. So if you  
3 look at cost of replication, the leaders will  
4 have a drag of about 4 basis points per 25  
5 basis points of transaction value and ACWI,  
6 Low Carbon Target Index will have a 6.6 basis  
7 point of cost of replicating. So very  
8 comparable, 2 basis points difference between  
9 leaders versus low carbon target.

10 MS. PELLISH: Thank you.

11 MR. SUBRAMANIAN: And then if you look  
12 at the leaders you are talking about similar  
13 kind of performance, slightly higher tracking  
14 error.

15 MS. STANG: I just had a question. So  
16 the low carbon target has a 6.6 basis point  
17 drag. So the total return up there because of  
18 the higher turnover, so the 10.0 percent just  
19 take 6.6 basis points out of that?

20 MR. SUBRAMANIAN: Yes, on an itemized  
21 basis.

22 MR. ADLER: I'm sorry, where is that  
23 number?

24 MS. TIMMONS: It's not in here, but he  
25 is referring to what the drag would be.

1 Proceedings

2 MR. SUBRAMANIAN: The way the drag is  
3 calculated is I just calculate the total times  
4 25 basis points. That's what I have done.

5 MS. STANG: If you have more zeros, you  
6 can take off.

7 MR. SUBRAMANIAN: And the drag is very  
8 simple. Total times the basis point, I put 25  
9 basis points. If you want to put 100 basis  
10 points that 3. number will be ten times that  
11 number, depending how much basis points things  
12 you want to talk about. Now if you look at  
13 the low carbon leaders, you will see that  
14 again similar performance. Both these indices  
15 have a total. We put a 10 percent turnover  
16 reduction, so every rebalancing we do a  
17 semiannual rebalance. We don't want the  
18 turnover to be more than 10 percent for both  
19 indexes, so you see on an annualized basis  
20 both indexes have achieved less than 20  
21 percent turnover because they are each  
22 balancing 10 percent, 20 percent maximum. So  
23 leaders have about 7.9 percent annualized  
24 turnover versus low carbon target of 13.9.  
25 And the fossil fuel is the last one. You can

1 Proceedings

2 see that they have done better because energy  
3 prices have not been really doing well.  
4 That's the kind of a short-term headline  
5 performance that you got, but the tracking  
6 error is close to 1 percent. So there is a  
7 two-thirds chance that you can either  
8 outperform or underperform the larger  
9 benchmark by that 1 percent number.

10 Okay, but let's look at the intensity  
11 reduction, which is rather key. If you look  
12 at Slide 20 for the low carbon target and I am  
13 looking at both numbers, the current emission  
14 and future emission, the reduction from the  
15 benchmark for the current emission which is  
16 based upon what is called carbon intensity,  
17 it's a very simple metric. You look at how  
18 much of your portfolio for a billion dollars  
19 of sales, how much of -- the portfolio has a  
20 lot of sales. So look at the sale of number  
21 for a billion dollars -- million dollars of  
22 sale, how much is the carbon return. So for a  
23 broader benchmark like ACWI is about 243 tons  
24 of carbon is emitted for \$1 million sale which  
25 is generated by the portfolio. You can see

1 Proceedings

2 the ACWI low carbon generated only 42 tons of  
3 carbon emission. If you look at low carbon  
4 leader. Generates 120 tons. And then  
5 ex-fossil fuels generated 200 tons of carbon  
6 emissions. So that's the highlighted box.  
7 Compared to the ACWI Index, the target index  
8 reduces the overall current emission by about  
9 83 percent. And that number is about 18  
10 percent for the ex-fossil fuel. If you come  
11 to the potential emission which is the future  
12 emissions, you see the reduction is about 98  
13 percent for the Low Carbon Target Index, 64  
14 percent for the low carbon leaders, and 100  
15 percent for the ex-fossil fuel because you  
16 don't involve any of those. So net-net, you  
17 can see that you achieve close to a 100  
18 percent in the target without divesting  
19 anything.

20 MS. PELLISH: Can I just ask: This  
21 number 83 percent is very striking. If you  
22 were doing this -- and if you said this and I  
23 missed it, I apologize, but if you were doing  
24 this for U.S. only, for your U.S. only  
25 benchmark, what might that 83 percent look

1 Proceedings

2 like?

3 MR. SUBRAMANIAN: Depends upon -- I  
4 don't have the right number. But it will be  
5 depending upon if you look at the three  
6 largest sectors, which are here are energy,  
7 utility, and material. In the U.S. energy  
8 sector will be the only largest one which will  
9 be impacted on, but most of the energy is on  
10 the future reserves rather than current  
11 emissions. So we can get back to you with the  
12 numbers.

13 MS. PELLISH: It would be lower I would  
14 guess?

15 MR. SUBRAMANIAN: It would be lower,  
16 depending upon how much of impact. So the  
17 bigger utility weight company are in the  
18 Europe. And reserve-wise I think U.S. has the  
19 largest, because the larger-owned companies  
20 are in the U.S.

21 MS. PELLISH: So I just wanted to raise  
22 that point, because we have been having  
23 conversations on that topic. And I think to  
24 date we focused on U.S. benchmarks, so the  
25 numbers have been lower in terms of reduction

1 Proceedings

2 in carbon intensity. So I just want to point  
3 out, I think this number is higher, the  
4 numbers we have seen because this is a  
5 global --

6 MR. SUBRAMANIAN: It's a global one.  
7 And the U.S. is about 60 percent of the  
8 benchmark, so you would see some of the  
9 reduction would come down because U.S. is  
10 not --

11 MS. PELLISH: -- as intense. Thank you.

12 MR. SUBRAMANIAN: So let's go to some of  
13 the commitments.

14 Any questions so far on this methodology  
15 or the numbers?

16 I will show one summary slide on the  
17 various parameters. And Slide 23 is the one  
18 which kind of summarizes the four dimensions  
19 and where each of these places. So what you  
20 are seeing is that the ex-fossil fuel is the  
21 one which is completely divesting. So it  
22 doesn't consider short-term risk, but builds  
23 on the long-term pieces. It's easy and  
24 transparent, but it leads to less engagement.  
25 Low carbon leaders take a middle ground. It

1 Proceedings

2 also has a -- it may have a short-term risk  
3 because you are divesting some of the things,  
4 but has similar kind of view point of carbon  
5 target. And the carbon target uses both  
6 approaches, it focuses on both the short-term  
7 risk and also long-term commitment.

8 And looking at examples of how people  
9 have used: So on Slide 25 I give you some of  
10 the names, but then I will walk you through  
11 the CalSTERS in much more detail. So on 25 I  
12 told you FRR and AP4. FRR is the French and  
13 the AP4 is the Swedish. They use the carbon  
14 leaders approach. U.S. environment agency,  
15 they use a low carbon target. And the UN  
16 joint staff in the U.S. here, they use a low  
17 carbon target. Maryland Retirement uses low  
18 carbon target.

19 MS. PELLISH: In each of these cases,  
20 are they internally managing the portfolio  
21 using your index?

22 MR. SUBRAMANIAN: Some of them are  
23 internally managing; some of them are  
24 externally. CalSTRS is externally managed.  
25 FRR uses an active manager to achieve it. It

1 Proceedings

2 becomes a benchmark by them. UN uses an ETF,  
3 so they have different approaches based on the  
4 commitment.

5 But the biggest commitment you see on  
6 Slide 26 is -- from the U.S. standpoint is  
7 from CalSTRS. We were invited to present to  
8 the board meeting at about two years ago and  
9 they went through the whole process, because  
10 California has regulations also. For them  
11 both the short-term risk was important and  
12 then they also believed that their -- as a  
13 universal owner they wanted to have  
14 engagement. Because their corporate  
15 governance policy states it wanted to engage  
16 with the company and they don't want to lose  
17 out the opportunity for utility companies to  
18 completely reform themselves to become a green  
19 technology company. Why would you want to  
20 divest that company. So they looked at the  
21 various benchmark options between target and  
22 leaders and ex-fossil and finally they went  
23 with the carbon target index. They manage it  
24 on a regional basis. They have U.S., non-U.S.  
25 and emerging market portfolio, but they

1 Proceedings

2 combined that to ACWI. It's internally  
3 managed because they have a large internal  
4 management team, so they were able to utilize  
5 that expertise to manage this portfolio  
6 internally because net-net it's the same  
7 active portfolio. You are just reweighting to  
8 hold different stock levels, so you don't have  
9 to use an external manager to run this  
10 portfolio if you have an internal management  
11 team.

12 MR. ADLER: I just want to ask a  
13 question. So I think you said that CalSTRS  
14 allocated 2-1/2 billion to this strategy. And  
15 CalSTRS, I don't know the current number, over  
16 200 billion in assets, it's 1 percent. So  
17 just to be clear, most of their assets are not  
18 in the strategy and therefore if they wanted  
19 to engage outside of the strategy, they still  
20 can? In other words, if they were choosing to  
21 put 1 percent into your ex-fossil fuels, they  
22 would still have 99 percent in which they  
23 could engage?

24 MR. SUBRAMANIAN: Yes, they could still  
25 engage. And this was kind of a nice way to go

1 Proceedings

2 and reduce exposure, but also keep the  
3 engagement option open.

4 MR. ADLER: I understand.

5 MR. SUBRAMANIAN: Then the second one,  
6 which is interesting on Slide 27 which  
7 recently happened, is the New Zealand Super.  
8 They are also a very large asset owner in New  
9 Zealand. They also adopted low carbon target,  
10 but they put a little twist to that. What  
11 they said was maybe I want to go and look at  
12 companies which are non-- they are the  
13 polluters today, but they have commitment to  
14 improve their practices. I don't want to  
15 divest, I want to bring them back into the  
16 portfolio. So a little bit of a  
17 subjective -- We have a large team, we look at  
18 the business practices and everything. We  
19 look at the involvement score, they use that  
20 score as an overall way to identify that  
21 corporate governance commitment. They don't  
22 divest; they bring them back into the  
23 portfolio. So a little subjective, but that's  
24 one of the approaches we have seen. But in  
25 terms of the U.S. approach we have seen, it's

1 Proceedings

2 mostly toward a very transparent methodology  
3 either internally or give it to an external  
4 manager to manage it.

5 Okay, with that I conclude my climate  
6 change session. Any questions? Again, this  
7 is not a hoax; this is not a fake news. This  
8 is real, so...

9 MR. ADLER: Any questions?

10 Okay, thank you very much. So, Robin,  
11 are we going to discuss this now?

12 MS. PELLISH: Well, yes. So I guess the  
13 question is whether there are any further  
14 comments or questions or how the board would  
15 like us to proceed. Has there been a decision  
16 made that you would like us to proceed with a  
17 more defined process?

18 MR. ADLER: Clearly there is no decision  
19 made yet, but we do want to have a discussion  
20 about these options that have been presented  
21 to us and how people -- what folk's reaction  
22 is to them.

23 LIANG: I have a question.

24 MR. ADLER: Go ahead, Liang.

25 LIANG: He didn't seem to go into detail

1 Proceedings

2 of the index construction. How did they  
3 reduce the weights or increase the weights as  
4 based on carbon emissions per sale or  
5 whatever? Is that something he just did not  
6 cover it or is that something that's  
7 proprietary that they don't reveal?

8 MR. FULVIO: No, they are happy to  
9 discuss that. We put together a few slides  
10 that give a little bit of a high-level  
11 overview as to how they construct the indices,  
12 and it differs depending upon which flavor  
13 MSCI offering you look at.

14 LIANG: But do they include the S& like  
15 the way Mellon did or is it only carbon?

16 MR. FULVIO: Theirs is based on the  
17 carbon reserves, the size of the market  
18 capital of the company, and then that's one  
19 aspect. The second aspect is like Mellon,  
20 they will take into account carbon intensity;  
21 so what are the emissions being burned,  
22 emissions relative to the size of the company  
23 sales. So they will take those two factors  
24 and do the weightings in that way.

25 And certainly for the carbon target, in

1 Proceedings

2 Low Carbon Target Index which he mentioned was  
3 more popularly used in the U.S., it's just  
4 using those measures to create the index. In  
5 the others there is sort of this initial level  
6 of divestment or exclusion and then they  
7 optimize based on tracking error. But in the  
8 Low Carbon Target Index, they will -- they  
9 will use those weightings the same way Mellon  
10 will. But it won't incorporate to your point,  
11 the ESG overlay or assessment of the carbon  
12 readiness, the things companies are doing to  
13 be more forward-looking in their operations.

14 MS. PELLISH: More data based I would  
15 say, which you would expect with an index  
16 provider.

17 MR. ADLER: Although, ironically enough,  
18 the data that Mellon is using is the MSCI  
19 data.

20 MR. FULVIO: The interesting thing  
21 beyond that too is the point they both made I  
22 think about just the inability, the fact that  
23 so much of that data is unavailable or not  
24 reported by companies. The largest ones have  
25 the resources to do that reporting. And the

1 Proceedings

2 engagement process that Mellon goes through  
3 and the MSCI research team goes through to try  
4 to talk to companies about being more  
5 proactive about reporting, that's certainly  
6 there.

7 What I will say in the comments we got  
8 from MSCI is that as companies begin reporting  
9 that data, they will do an assessment for what  
10 the estimates have been in the past. And they  
11 have seen the estimates look pretty close to  
12 what exactly is getting reported. Once  
13 companies have the ability to do that, I think  
14 they generally capture about 70 percent of the  
15 information that they were estimating.  
16 So -- but the data is certainly getting better  
17 over time, it's not the same.

18 MR. AARONSON: If we made the decision  
19 to do this and use the MSCI Index, that means  
20 we can ask one of our index managers, managers  
21 like Mellon, to set an index for the U.S.  
22 instead of indexing to the Russell 3000 to  
23 this or we can hire Mellon as the index, would  
24 be less costly.

25 MS. PELLISH: So the real answer is we

1 Proceedings

2 don't know until we begin negotiating. If I  
3 just ask them for their cost estimates, they  
4 are roughly similar and they are certainly  
5 more expensive than you are paying right now.  
6 So we include it again in the data that we  
7 distributed, this estimate that the cost to  
8 license one of these benchmarks from MSCI is  
9 about 3 basis points. But that's before we  
10 have started talking to them about the  
11 billions of dollars that can be devoted and  
12 the fact that they can reference New York City  
13 Teachers in their material. So they cited a  
14 number of about 3 basis points and if you talk  
15 to Mellon --

16 MS. STANG: We have to hire an  
17 investment manager on top of that.

18 MS. PELLISH: Right. So you can use  
19 Mellon or BlackRock depending which plan you  
20 are looking at, but --

21 MR. AARONSON: So this whole thing if we  
22 went into it, 3 basis points.

23 MS. PELLISH: The question is: What's  
24 the incremental cost? The incremental cost  
25 could be 3 to 5 basis points.

1 Proceedings

2 MR. ADLER: But then you have the  
3 transaction costs.

4 MS. PELLISH: If you are doing something  
5 like this that has higher turnover, yes.

6 MS. STANG: Because right now we only  
7 have .3 of a basis point.

8 MS. PELLISH: That's in the variable  
9 fund, so the pension has --

10 MR. ADLER: Let me ask another MSCI  
11 question: It says that they can optimize it  
12 to any MSCI Index, but we use the Russell  
13 3000. So how would that work?

14 MS. PELLISH: So that's why, if you  
15 notice, in Mellon's material that's why they  
16 talked about the tracking error of the Russell  
17 3000 to MSCI benchmarks, because that  
18 introduces and they estimated 9 basis points.  
19 So that introduces tracking error relative to  
20 the Russell 3, so -- and that's an issue.  
21 They are not going to do anything with the  
22 Russell Index, obviously.

23 MR. ADLER: MSCI?

24 MS. PELLISH: Right.

25 MR. ADLER: But Mellon does.

1 Proceedings

2 MS. PELLISH: Mellon's strategy, they  
3 are not in the index business. So they are  
4 agnostic about what benchmark they use and  
5 they apply that technology to any benchmark.

6 MR. ADLER: Mellon will?

7 MS. PELLISH: Mellon will. Now, what I  
8 don't know is what Russell has been doing in  
9 this regard so that --

10 MS. STANG: I called Russell -- and they  
11 gave me MSCI. So I don't know. Did Russell  
12 get caught?

13 MR. FULVIO: They are part of FTSE now.

14 MS. PELLISH: So there are other index  
15 providers we can consider. But our sense is  
16 MSCI, they are ahead of most other indexes.  
17 So, again, this is a subset of the available  
18 alternatives. You have a big relationship  
19 with Mellon. We think Mellon has done a lot  
20 of interesting work in this area. MSCI is  
21 also -- you know, you also -- you use MSCI as  
22 a benchmark for portfolios in the  
23 international space.

24 MR. ADLER: Well, and also they are our  
25 risk for BAM.

1 Proceedings

2 MS. PELLISH: So the two firms you  
3 already have relationships with clearly, but  
4 there are other very interesting firms. And  
5 also noting that we have only been focusing on  
6 passive strategies, which I think also my  
7 sense is that the board agrees that's the  
8 most -- that's the first priority or first  
9 step should you wish to implement a low carbon  
10 strategy.

11 MR. ADLER: I do believe -- without  
12 advocating one approach or another, I do  
13 believe that the argument about -- as you can  
14 tell from my question about engagement is not  
15 a real argument because we are not going to  
16 put our whole portfolio into this strategy.  
17 And so, you know, it's not -- I don't really  
18 think it's going to affect our ability to  
19 engage because we are still going to own every  
20 company in the index through our standard  
21 passive portfolio, so...

22 MS. PELLISH: Good point.

23 MR. FULVIO: The other interesting thing  
24 about that when you start thinking about the  
25 tracking error you are comfortable taking, you

1 Proceedings

2 can actually think about it more broadly and  
3 take into account this question of whether or  
4 not you allocate more or less to a low carbon  
5 index or toggle the active risk you are  
6 allowing managers to take within just the low  
7 carbon piece of your portfolio.

8 So, for example, Mellon Capital pointed  
9 out that they are targeting less than 50 basis  
10 points of tracking error and if you put 10  
11 percent of your portfolio, your global equity  
12 index portfolio or U.S. index portfolio, in  
13 that you are only taking -- you are actually  
14 taking a lot less active risk from a total  
15 portfolio standpoint because it's just a small  
16 portion of the portfolio. So would you be  
17 more comfortable -- the question is, would you  
18 be more comfortable taking more active risk in  
19 that small slice knowing that that overall  
20 risk level is mitigated by the fact that you  
21 only put 10 percent in that small slice. So  
22 there is different ways of approaching this  
23 question of how much risk you want to take,  
24 how much tracking error you want to take.

25 MR. ADLER: Also just another question:

1 Proceedings

2 Are we talking about -- again, I always ask  
3 the question TDA and QPP or are we just  
4 talking about TDA here?

5 MS. STANG: Here specifically I think we  
6 are just talking about TDA. But it's broadly  
7 applicable everywhere, right, because TRS is  
8 having -- Mercer did the report for Teachers'  
9 Retirement System for both pension and  
10 variable so, you know, it's a little of both I  
11 guess is your answer. It's applicable to  
12 both.

13 MS. PELLISH: The only distinction is  
14 one is participant dollars, more participant  
15 dollars. So I think that's a board discussion  
16 where you want to take the first step.

17 MR. ADLER: Michael, let me just say,  
18 that point you made about tracking error is  
19 really helpful to think about it across the  
20 whole portfolio and not just within whatever  
21 slice we might put into low carbon.

22 MS. PELLISH: And on top of that,  
23 though, we have to remember the curve stayed  
24 true. So you don't get -- it's not this  
25 linear curve where you get more lower carbon

1 Proceedings

2 intensity on a proportional basis. Every  
3 additional basis point of tracking error, that  
4 flattens it out at 80 percent.

5 MS. STANG: It's not the only old 80/20  
6 rule.

7 MR. ADLER: Truthfully, I think the  
8 numbers they have provided with regard to the  
9 target products where they basically reduce  
10 the carbon emissions by 98 percent and the  
11 carbon intensity by 83 percent is astonishing  
12 on page 20 of their -- you know, so doing that  
13 with a --

14 MR. KAZANSKY: And it certainly seems a  
15 better total tradeoff than the excluding  
16 fossil fuels one?

17 MR. ADLER: And either one of them,  
18 either the all fossil fuels or the partial,  
19 you know, excluding the largest emitters, you  
20 know, really looks like a -- you know, across  
21 the measures it's very impressive. And, you  
22 know, it does have higher turnover, that's the  
23 one drawback.

24 MS. STANG: And it is an All Country  
25 World, to Robin's point. It's not directly

1 Proceedings

2 applicable to Mellon because Mellon was just  
3 to Russell 3.

4 MS. PELLISH: So -- although, they would  
5 be happy to apply it to a more global  
6 portfolio as well.

7 MR. ADLER: To more domestic.

8 MS. PELLISH: Mellon can do global.

9 MR. ADLER: Oh, Mellon can do global or  
10 we can MSCI with a U.S. index like the one  
11 they have.

12 MS. PELLISH: Absolutely, there is a  
13 variety. So I know you didn't want to get too  
14 focused on specific managers in that part of  
15 the meeting, so at some point we look to the  
16 board for what -- how to provide if there is  
17 interest in additional information or  
18 education and how we can be helpful in  
19 facilitating this discussion.

20 MR. BROWN: Review it.

21 MS. PELLISH: There is a lot of stuff.  
22 It's a big topic, absolutely.

23 MR. ADLER: Okay. Anything more on the  
24 low carbon?

25 MR. FULVIO: John, I just want to --

1 Proceedings

2 your point about 98 percent reduction, that  
3 would be potential carbon emissions based on  
4 reserves. So it's basically a reserve number,  
5 not necessarily a current emissions per sales?

6 MR. ADLER: No, the current is the 83  
7 percent. I said the two numbers are still  
8 very, very, you know, impressive reducing  
9 essentially fossil fuel, you know, reserves by  
10 98 and current emissions by 83 or it's  
11 actually current emissions by 84 and carbon  
12 intensity by 83, because those are big  
13 numbers.

14 MR. FULVIO: Yes.

15 MR. ADLER: Okay. Anything else today  
16 on low carbon?

17 Right, thank you very much for bringing  
18 it up.

19 MS. PELLISH: And Susan was  
20 very --

21 MR. ADLER: Susan, thank you very much.  
22 I thought that was really helpful.

23 So the last item on the public agenda is  
24 the divestment policy, but I think that we are  
25 going to table that for today and we will move

1 Proceedings

2 it to next month's agenda.

3 So we have items for executive session,  
4 do we?

5 MR. FULVIO: We can address them. There  
6 is no manager updates.

7 MS. PELLISH: We are just following up  
8 on actions.

9 MR. ADLER: Why don't we do a brief  
10 executive session. So is there a motion to  
11 enter executive session?

12 MR. KAZANSKY: So moved.

13 MR. ADLER: Great. Is there a second?

14 MS. VICKERS: Second.

15 MR. ADLER: Any discussion?

16 All in favor of the motion to enter  
17 executive session, please say aye. Aye.

18 MS. VICKERS: Aye.

19 MR. BROWN: Aye.

20 MR. KAZANSKY: Aye.

21 MR. ADLER: All opposed, please say nay.

22 Any abstentions?

23 Okay, we are in executive session.

24 Okay.

25 (Whereupon, the meet went into Executive Session.)

1 Proceedings

2 MR. ADLER: Okay. Any questions? We  
3 are good. Anything else for executive  
4 session?

5 Okay, so I think a motion to go back  
6 into public session would be in order.

7 MR. KAZANSKY: So moved.

8 MS. VICKERS: Second.

9 MR. ADLER: Any discussion?

10 All in favor of the motion, please say  
11 aye. Aye.

12 MS. VICKERS: Aye.

13 MR. BROWN: Aye.

14 MR. KAZANSKY: Aye.

15 MR. ADLER: All opposed, please say nay.  
16 Any abstentions?

17 Okay, let's go back into public session.  
18 Okay, we are back in public session. Susan,  
19 do you want to make a report?

20 MS. STANG: Sure. In executive session,  
21 there was a discussion of implementation of  
22 various previously approved processes.

23 MR. ADLER: Okay, that concludes our  
24 business for today.

25 Is there a motion to adjourn?

1 Proceedings

2 MR. KAZANSKY: So moved.

3 MR. ADLER: Is there a second?

4 MR. BROWN: Second.

5 MR. ADLER: Any discussion?

6 All in favor of the motion to adjourn,  
7 please say aye. Aye.

8 MS. VICKERS: Aye.

9 MR. BROWN: Aye.

10 MR. KAZANSKY: Aye.

11 MR. ADLER: All opposed, please say nay.

12 Any abstentions?

13 The motion carries. The meeting is  
14 adjourned.

15 [Time noted: 12:38 p.m.]

16

17

18

19

20

21

22

23

24

25

1 Proceedings

2

3 C E R T I F I C A T E

4 STATE OF NEW YORK )

5 : ss.

6 COUNTY OF QUEENS )

7

8 I, YAFFA KAPLAN, a Notary Public  
9 within and for the State of New York, do  
10 hereby certify that the foregoing record of  
11 proceedings is a full and correct  
12 transcript of the stenographic notes taken  
13 by me therein.

14 IN WITNESS WHEREOF, I have hereunto  
15 set my hand this 12th day of November,  
16 2017.

17

18

19 \_\_\_\_\_  
YAFFA KAPLAN

20

21

22

23

24

25